

1

UNITED STATES OF AMERICA

2

FEDERAL ENERGY REGULATORY COMMISSION

3

4 Technical Conference on Modernizing

5 Electricity Market Design: Energy and

6 Ancillary Services in the Evolving

7 Electricity Sector

8

Docket No: AD21-10-000

9

10 TECHNICAL VIDEO CONFERENCE

11 Federal Energy Regulatory Commission

12 888 1st Street NE

13 Washington, DC 20426

14 Tuesday, October 12, 2021

15 9:00 a.m.

16

17

18

19

20

21

22

23

24

25

1 Welcome and Opening Remarks

2 Panel 1: Incenting Resources to Reflect Their Full

3 Operational

4 Flexibility in Energy and Ancillary Services Offers

5 Panelists:

6 Dr. Nicole Bouchez, Principal Economist, Market Design, New

7 York Independent System Operator, Inc.

8 Joseph Daniel, Manager, Electricity Markets, Climate and

9 Energy Program, Union of Concerned Scientists

10 Tom Kaslow, Vice President, Market Policy, FirstLight Power,

11 Inc.

12 Sherman Knight, President Competitive Power Ventures

13 Karen Onaran, Vice President, Electricity Consumers Resource

14 Council

15 Greg Sorenson, Manager, Market Surveillance and Mitigation,

16 Southwest Power Pool, Inc.

17 Dr. Catherine Tyler, Deputy Market Monitor, Monitoring

18 Analytics

19 Panel 2: Maximizing the Operational Flexibility Available

20 from New and Emerging Resource Types

21 Panelists:

22 Betsy Beck, Director, Regulatory Affairs - Central and

23 Western U.S. Enel North America, Inc.

24 Jason Burwen, Interim Chief Executive Officer, Energy

25 Storage Association

1 (Cont'd.)

2 Mike DeSocio, Director, Market Design, New York Independent
3 System Operator, Inc.

4 Brian George, Director of Strategic Policy and Government
5 Affairs, Electric Power Supply Association

6 Dr. Walter Graf, Senior Director of Economics, PJM
7 Interconnection, L.L.C.

8 Dr. Nikita Singhal, Technical Leader, Grid Operations and
9 Planning, Electric Power Research Institute, Inc.

10 Panel 3: Revising RTO/ISO Market Models,
11 Optimization, and Other Software Elements to Address
12 Operational Flexibility Needs

13 Panelists:

14 Dr. George Angelidis, Principal, Power Systems and Market
15 Technology, California Independent System Operator Corp.

16 Dr. Erik Ela, Program Manager, Electric Power Research
17 Institute, Inc.

18 Dr. Bethany Frew, Senior Engineer, National Renewable Energy
19 Laboratory

20 Arne Olson, Senior Partner, Energy and Environmental
21 Economics, Inc.

22 Dr. Congcong Wang, Lead, Day Ahead and Reliability
23 Commitment, Midcontinent Independent System Operator, Inc.

24 Dr. Jinye Zhao, Principal Analyst, Advanced Technology
25 Solutions, ISO New England, Inc.

1 (Cont'd.)

2 Panel 4: Out-of-Market Operator Actions Used to Manage Net
3 Load Variability and Uncertainty

4 Panelists:

5 Yasser Bahbaz, Manager, Reliability Coordination, Southwest
6 Power Pool, Inc.

7 Liam Baker, Vice President Regulatory Affairs, Eastern
8 Generation

9 Chris Bossard, Shift Manager, Real-Time Operations,
10 California Independent System Operator Corp.

11 Laura Rauch, Director, Settlements, Midcontinent Independent
12 System Operator, Inc.

13 Noha Sidhom, Chief Investment Officer, Viribus Fund, on
14 behalf of the Energy Trading Institute

15 William Fields, Deputy People's Counsel, Maryland Office of
16 People's Counsel

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 (9:00 a.m.)

3 Welcome and Opening Remarks

4 MS. NICHOLSON: Good morning everyone. Thank you
5 very much for joining us. My name is Emma Nicholson, and
6 I'm with the Federal Energy Regulatory Commission's Office
7 of Energy Policy and Innovation. Welcome to this virtual
8 conference to discuss regional transmission organization and
9 independent system operator, or RTO and ISO, energy and
10 ancillary service markets in the evolving electricity
11 sector.

12 This is the fourth technical conference the
13 Commission has hosted this year in a series of technical
14 conferences called Modernizing Electricity Market Design in
15 Docket Number AD21-10. Today's conference will be the
16 second of two conferences this fall that will focus on
17 energy and ancillary service markets.

18 And the first conference was held last month on
19 September 13. Before we begin with opening remarks from our
20 Chairman and Commissioners, I wanted to communicate some
21 logistics for the conference. We'll have two panels this
22 morning, followed by a lunch break and two panels this
23 afternoon.

24 Panel 1 will start immediately after the opening
25 remarks. The conference is being webcast, but it will not

1 be recorded for future viewing. Once we get these initial
2 remarks out of the way I want to introduce our Chairman,
3 Chairman Richard Glick for his opening remarks. Thank you
4 Mr. Chairman.

5 CHAIRMAN GLICK: Thank you very much Emma, and
6 thanks to your team for assembling this very important
7 technical conference. I think this is going to be a very
8 interesting staff led technical conference today. And I
9 also want to thank the panelists for taking your time. I
10 know everyone's busy, but taking up your time today to
11 participate. We really appreciate that.

12 As Emma mentioned today's the second of the two
13 technical conferences we're having on energy and ancillary
14 services market reform, and we're very interested to hear
15 everyone's views on the subject.

16 During the first conference we've kind of looked
17 at it from a macro level, and examined some of the energy
18 and ancillary service market reforms that might be needed to
19 address the changing resource mix. Today we get down into
20 more of the detail kind of the nitty gritty, and the first
21 two panels are going to focus on how resources offer their
22 services into RTO and ISO markets.

23 The third panel is going to talk about how these
24 markets actually select lease cost resources in the various
25 markets around the country. And the fourth panel is going

1 to focus on out of market action, out of market activities
2 and how that impacts the energy ancillary services markets
3 as well in terms of what we're looking at today.

4 So again I want to really thank everyone for
5 participating today. I think it's going to be an
6 interesting conference. I think I will be here for most of
7 it. Unfortunately, a couple conflicting appointments, but
8 for the most part I will be listening in and listening
9 intently on the record, and really look forward to a good
10 discussion today.

11 Before I turn it back to you Emma, I'm going to
12 ask my colleagues if they have opening comments, and I'll
13 start with Commissioner Danly.

14 COMMISSIONER DANLEY: Thank you Mr. Chairman. I
15 appreciate it. I don't have a whole lot to say in
16 preliminaries except that I appreciate everybody being here,
17 and I look forward to the discussion. I too will be coming
18 in and out as necessary to other appointments today.

19 One thing that I want to say is that in those
20 markets that have capacity markets, even though I
21 acknowledge that there are any number of potential valuable
22 reforms to the energy ancillary services markets, those
23 reforms cannot take the place of a properly functioning
24 capacity market in those cases where there is one. So I
25 just want to make that point before we begin, and I look

1 forward to listening to the discussion and reviewing the
2 transcript once everything is completed. Thank you Mr.
3 Chairman.

4 CHAIRMAN GLICK: Thank you Commissioner Danly.
5 Commissioner Clements?

6 COMMISSIONER CLEMENTS: Thanks Chairman Glick and
7 good morning, it's nice to see you all. Thanks to staff for
8 putting on the second technical conference. It's a lot of
9 work under any circumstances certainly as we continue to do
10 these virtually. We know you're putting in a lot of time
11 and my advisors and I really agree that this agenda is
12 really excellent. I look forward to learning from all of
13 today's panelists.

14 As the Chairman said it's really getting into the
15 weeds, which is a place I like to be. I'm thinking I'll
16 learn a lot from all of you, and all of the panels. I won't
17 be in-person for the fourth, but we'll get to see that
18 later.

19 But in particular, three things come to mind for
20 me. First is market rules -- and whether those rules
21 properly committing inclusion of the costs that resources
22 are incurring for being flexible.

23 Second is the extent to which self-commitment and
24 self-scheduling rules are impacting the flexibility
25 available to operators. I know some of your pre-conference

1 comments covered this. And then third, whether eligibility
2 and operators are following behind advances, and the
3 capabilities of newer technology and resources such that
4 they may be acting as -- those rules may be acting in
5 barriers of participation.

6 So with that thanks for being here today and for
7 investing the time.

8 CHAIRMAN GLICK: Thank you Commissioner Clements.
9 Commissioner Christie?

10 COMMISSIONER CHRISTIE: Thank you Mr. Chairman.
11 I would just like to thank staff for all the work that you
12 did putting these on. These are very time intensive, and
13 very energy intensive, no pun intended. And so I really
14 want to thank staff for all the work you put into these.

15 And I also want to thank the panelists. You've
16 put a lot of time in as well. And so I want to thank you
17 for that. I'll be listening today. I don't think I'll have
18 any questions, but I'll reserve the right to jump in with
19 one, but I don't have any planned. So I'm going to be
20 listening and learning, and again thank you to everybody for
21 all the work you do to putting this conference on. Thank
22 you Mr. Chairman.

23 CHAIRMAN GLICK: Thank you Commissioner Christie.
24 And now I'll turn it back to Emma to get us started today.
25 Thank you Emma.

1 Panel 1: Incenting Resources to Reflect Their
2 Full Operational Flexibility in Energy and Ancillary
3 Services Offers

4 MS. NICHOLSON: Thank you very much Chairman
5 Glick, Commissioner Danly, Commissioner Clements and
6 Commissioner Christie for joining us today, and providing
7 opening statements. We will now proceed to our first panel
8 for today.

9 I really appreciate everyone for joining and I
10 thank our panelists. This is the first of four panelists,
11 and Panel 1 will focus on incentives that RTO and ISO system
12 resources have to offer their operational capabilities into
13 the market, the energy and ancillary services market today.
14 Again, my name is Emma Nicholson, I work in the Regulatory
15 Commission, or FERC's Office of Energy Policy and
16 Innovation. And I'm joined by my colleague and
17 co-moderator for Panel 1, Michael McLaughlin who is a
18 Director of Division of Economic and Technical Analysis in
19 the Policy Office.

20 And this panel will run through -- and before we
21 get started I want to have a traditional request that all
22 Commissioners -- all panelists avoid discussion of actions
23 that are active and pending before the Commission. We
24 issued a notice that notice all the dockets that are
25 currently pending.

1 We have my colleague, Adam Eldean from the Office
2 of the General Counsel is available here to notify us if
3 we're discussing ex parte matters, but we request that all
4 of our panelists today avoid the types of discussions that
5 would require us to redirect the conversation, but I'm very
6 excited to have this conversation today in Panel 1 about
7 resource incentives and the extent to which current RTO and
8 ISO energy and ancillary service market rules encourage
9 resources to offer flexibility into energy markets.

10 So right now I will pass the mic to my colleague
11 Michael McLaughlin. Thank you.

12 MR. MCLAUGHLIN: Good morning and thank you Emma.
13 Thank you to all the panelists for being here. As Emma
14 mentioned I'm Mike McLaughlin, Policy Office, and have the
15 opportunity to ask the first question of the day. The first
16 question will be addressed to all panelists. I will call
17 each panelist in turn. I will ask the initial responses are
18 no longer than five minutes.

19 After all the panelists have responded there will
20 be time for each panelist to respond to the initial comment.
21 First question. Do any existing RTO/ISO energy ancillary
22 services market rules, requirements or procedures, actually
23 encourage resources to offer into the market inflexibly, and
24 if so what changes should be made.

25 First up is Dr. Nicole Bouchez, the Principal

1 Economist, Market Design, in New York.

2 DR. BOUCHEZ: Thank you very much. First I'd
3 like to thank the FERC Commissioners and staff for the
4 opportunity to participate in this technical conference. In
5 New York our focus has been on the wholesale energy products
6 that are needed for reliability in the face of an evolving
7 resource mix. And at the same time ensuring that the
8 broadest set of resources possible can participate in those
9 markets.

10 Generally in New York's structure of our market
11 rules is to increase the financial returns for resources
12 that reform flexibly and reliably in the real time markets,
13 and reduce compensation for inflexible units. Co-optimizing
14 in our energy and ancillary service markets both in the day
15 ahead and the real time markets causes the prices for energy
16 and ancillary services to reflect the costs of system
17 providing the ancillary services.

18 And to compensate for providing ancillary
19 services when the unit would otherwise be providing energy.
20 This opportunity to sell different products also has the
21 potential to encourage resources to make investments or
22 modify operating practices to participate in those markets.

23 These investments can however be costly, which is
24 why the focus on reliability and the products needed to
25 maintain reliability is so important. We have a very solid

1 market design that performs very well, and market design
2 will continue to serve as well as we look towards the grid
3 of the future.

4 We do not have any preference for specific
5 technologies or resources. The market rules we have are
6 based on the reliability needs, both the needs of our
7 operators and the requirements of the reliability oversight
8 organizations. In our case that would be in particular,
9 NERC and the New York State Reliability Council.

10 We are continually looking at our rules to
11 increase participation because as you recognize in this
12 technical conference, more participation in ancillary
13 services is a good thing. If we don't have sufficient
14 parameters modeled to adequately model a technology's
15 capabilities, we work on evolving the participation model so
16 that they can participate.

17 In the next panel we will be talking about new
18 and emerging resource types and what the NYISO is doing to
19 accommodate their participation models, so I won't cover it
20 here. But I wanted to talk about two examples that are a
21 little different. In New York we've gone from hourly
22 scheduling of imports and exports to quarter hour scheduling
23 on several of our interfaces with our neighbors to provide
24 additional flexibility.

25 We are even considering moving towards five

1 minute scheduling to provide further flexibility. To give
2 another example our current rules are not completely able to
3 reflect the ability of combined cycle units to participate
4 in ancillary service markets. We have a current project
5 that is looking at ways to better reflect their operating
6 capability.

7 Finally, you asked to the extent to which our
8 rules account for existing fuel limitations like natural gas
9 supplies that have the potential to impact resource
10 flexibility. Resources bid and notify the NYISO of fuel
11 limitations, and they're taken into account in the reference
12 practices that are developed for mitigation, and obviously
13 in the dispatch as well. I think that's it for now, thank
14 you.

15 MR. MCLAUGHLIN: Thank you Nicole. Next up is
16 Joseph Daniel, Manager, Electricity Markets, the Climate and
17 Energy Program of Union of Concerned Scientists.

18 MR. DANIEL: Thank you. Thank you Mr. Chairman,
19 Commissioners, and Commissioner staff for assembling this
20 technical conference and for inviting me and the other
21 panelists to speak. The first thing I want to get out of
22 the way is to make very clear why I think flexibility is
23 important, and those reasons are reliability and
24 affordability. A more flexible grid will lower costs, and
25 therefore be more affordable to the consumer, and more

1 flexible grid will be more reliable.

2 And those are my priorities when I'm thinking
3 about flexibility. And I sometimes find it difficult to
4 disaggregate some of the flexibility issues with some of the
5 behavior that I would categorize as uneconomic behavior in
6 the markets. I also want to recognize that the bulk of my
7 own statement focused on the questions three and four about
8 self-scheduling, and I will save the bulk of my responses to
9 those questions when we get to them.

10 But in the meantime I will just recognize that I
11 do feel like self-scheduling itself commitment are a
12 limiting factor in the current rate's flexibility, and that
13 while some of the most inflexible resources like coal steam
14 units, are often categorized as being inflexible, and
15 operate inflexible.

16 Those operations do not necessarily represent
17 their inherent engineering limitations. There may be
18 exceptions to this categorization, you know, many coal
19 plants are not being operated to their full potential. And
20 when I look at the current rules that govern our energy and
21 ancillary services markets, I've kind of come to the
22 conclusion that most of today's rules were written for
23 yesterday's resources, and I think there can be no doubt
24 that we have to look at any one of the ISO or RTO queues to
25 see that the resource mix is changing.

1 And you know encouraged by Order 841 and 2222.
2 FERC is clearly working to find ways to accommodate that
3 inevitable wave of new lower-cost, more flexible resources
4 and those efforts are laudable, however you know I think
5 some of today's existing rules, including those governing
6 the commitment and scheduling of resources tend to bias
7 towards inflexible long lead time resources and against
8 newer more flexible technologies.

9 Although these rules appear to be neutral in
10 application, in that they allow all resources to say
11 self-commit, the impact effects resources very differently.
12 That's one of the things that I wanted to talk about in
13 greater detail later.

14 FERC should pursue market fixes to promote the
15 better resources that enter the market, and to offer in a
16 full range of flexibility. And just as important we need to
17 recognize that the market or incentive-based solutions to
18 this issue often rely on a fundamental assumption that power
19 plant operators will respond to the price signals formed by
20 market auctions that the ISOs are administering.

21 And this is an assumption is not universally
22 applicable to all power plants, particularly those in the
23 RTOs and ISOs where most of the resources are still operated
24 by vertically integrated utilities, and these power plants
25 are in rate base. And so as long as power plants operators

1 are out there and you know might be insulated from those
2 price signals, price signal based solutions are going to
3 struggle to its full potential.

4 That's not to say that we shouldn't you know
5 pursue those, it's just that we need to you know kind of go
6 into those conversations with open eyes about the
7 limitations. And also recognize that we're not limited to
8 sort of price signal based solutions. Market monitors are
9 authorized to conduct a range of oversight and regulatory
10 functions in order to prevent say market manipulation, and
11 help ensure just and reasonable rates.

12 And there are ways to sort of translate those
13 types of actions into similar actions that govern our
14 commitment practices in a way that will promote flexibility.
15 And then I also you know look forward to talking about a
16 range of options that I think FERC should look at when
17 pursuing fixes including finding ways to help encourage
18 utilities to operate their coal plants at lower PMINs.

19 And also you know more tangible action the
20 Commission can take when it comes to information gathering,
21 reporting, working with state Commissions directly, and you
22 know my final recommendation, you know a couple week's
23 earlier, is just to make sure that as we make these steps
24 towards creating market rules that will promote flexibility,
25 we recognize you know the limitations to that.

1 And try to find ways to make sure that the market
2 rules objectives actually achieve what we're solving for,
3 and I look forward to expanding on this today in some of the
4 later questions, and just want to thank the Commission again
5 for inviting me to speak.

6 MR. MCLAUGHLIN: Thank you. Next up is Sherman
7 Knight, president, Competitive Power Ventures.

8 MR. KNIGHT: Thank you Michael. Thank you
9 Commissioners for this opportunity to speak. My remarks
10 today reflect my opinions in my own capacity, not those of
11 my company. Having said that, our company's success is
12 entirely dependent upon grid availability to develop, build,
13 new renewable resources which I think is all dependent upon
14 the ability to manage intermittent resources within the
15 existing grid, which I think ultimately comes down to
16 flexibility in doing so.

17 So we are very interested in this technical
18 conference and very much appreciate the opportunity to
19 speak. I think from my perspective I think that one of the
20 key attributes here is really distinguishing between cost of
21 value and price. This came up actually this weekend. I had
22 a leak in my upstairs bathroom. It drifted to the ceiling
23 of my dining room.

24 I shut off the water, brought a plumber over. He
25 said yes, you know the material is about \$20.00, his time is

1 about \$30.00, and he was going to charge me \$100.00. I was
2 like no problem. You know the cost was obviously only
3 \$50.00, the value to me was well over \$100.00, and we
4 arranged for a price.

5 And I think one of the fundamental things with
6 flexibility right now is that we don't have to distinguish
7 between the value of flexibility out there. So back to the
8 question. I think there's two issues, ultimately it's ramp
9 rate and ancillary services -- the volume of ancillary
10 services.

11 As a generator we dispatch typically five to 10,
12 to 15 minute intervals. We put in energy offers at various
13 levels you know for the cost of generation, and then we also
14 put in the ramp rate. The reality is there's no value
15 distinguished if you put a ramp rate of five megawatts per
16 minute, 20 megawatts per minute, 40 megawatts per minute, or
17 one megawatt per minute. You get paid the same amount in
18 the energy market.

19 And so from you know the ISO's are relying on the
20 ability for a lot of the fast ramp units currently, whether
21 it's peakers, or applied cycles, to flexibly manage that
22 inter commitment resources as they're coming on. The value
23 to the generator is zero. There's literally no difference
24 in terms of what one gets paid for that.

25 And so I think you know kind of going to Nicole

1 and Joe's comments I agree with them. I think that what
2 that leads to is basically me going back to the plumber
3 saying I'm going to pay you less than cost. You know,
4 please do my fix. You know the value to me is high, I'm not
5 going to pay you anything for it.

6 And so you might get to my house, you might not.
7 You know I think from a general perspective it's like ah,
8 there's not a lot of value putting in flexibility into the
9 ISO, you know why do it. You know I will do what I need to,
10 but I'm not going to really push and there's not an
11 incentive to be super flexible.

12 And then part of that is then all that
13 flexibility is going into the energy market where five
14 minutes you're getting fluctuated up and down quite rapidly.
15 The volume of ancillary services then needs to be procured
16 and get shrunk, and because that gets shrunk the value of
17 the actual ancillary services in terms of regulation and
18 everything else, actually diminishes.

19 Whereas if that's measured in terms of the actual
20 flexibility across the value of the actual flexibility
21 needed across the system you know it's not truly reflected.
22 So I would just encourage you know us to you know be candid
23 about what actually is needed you know to bring on the
24 renewable resources.

25 Let's make sure that there's incentives out there

1 for coal plants you know to put a PMINs down, a ramp rate
2 higher to what their capabilities are. To note
3 self-schedule, you know, all those actions are done because
4 there's not value in the market to do so.

5 And whether that's through the energy market, you
6 know, some form of incentive to show your true ramp rate or
7 to increase your ramp rate and make technical fixes, or put
8 more you know volume into the ancillary services and make
9 the energy market you know just more of a steady market,
10 either one can work from my standpoint, but actually finding
11 what that value is is important. Thank you again for the
12 opportunity.

13 MR. MCLAUGHLIN: Thank you. Next up is Karen
14 Onaran, Vice President, Electricity Consumers Resource
15 Council. Karen?

16 MS. ONARAN: Great. Well thank you so much
17 Chairman Glick, Commissioners and Commission staff for the
18 invitation to speak today, and of course for providing a
19 platform for the consumer perspective because at the end of
20 the day whatever we do, the consumers will be paying for it.

21 And so in answer to the question you know whether
22 this particular rules are either hindering or promoting
23 certain resources and the flexibility. You know I would say
24 there's not a one size fits all, and so that all of them can
25 use some improvement to some extent. And I think what we

1 really need to focus on is what is the problem that we are
2 trying to solve. And that is a not a reserve problem.

3 I think if you look at the generation that we
4 have available now, and even what's in the queue. We have
5 more generation than we could possibly ever use. So what we
6 really do want to be solving for is the flexibility to
7 manage variability. And there are two sides to that coin.
8 There is the supply variability, and there's also the demand
9 variability, and they both should be at the table to focus
10 on these issues and help solve them.

11 So I think you know one of the things that we're
12 seeing is perhaps an over procurement of resources, some of
13 which are just sitting there waiting to be called on. And
14 as consumers we really want to be paying for generation that
15 provides a service, provides the energy. I think we don't
16 want to pay for generation just because it exists.

17 And so I think that we really need to be looking
18 at the variability and the flexibility as something that we
19 need to incent. And the way that we can possibly do that is
20 you know what are the attributes that we really need and
21 really want out of our generation, and place a value on
22 that. So you know, if it's more flexibility, able to ramp
23 up, ramp down you know quickly, you know put a value on
24 that.

25 If it is for longer term backup resources put a

1 value on that. And I think that with those incentives
2 hopefully it will send the correct price signals. You know
3 as Mr. Daniel brought up earlier that sometimes generation
4 is not always responsive to price signals, but you know I
5 would hope that with the proper incentives put in place that
6 they will be inclined to you know to get into the market
7 according to their capabilities.

8 So I think that it really takes some reflection
9 and looking at all of the possible contingencies, and what
10 the likelihood of those contingencies, you know, to make
11 informed decisions. Do you know in the winter that there
12 will be supply chain -- these potential supply chain issues.

13 Do you know that some of your generators are
14 unable to perform once the temperature reaches a certain
15 level? Are you winter peaking? Are you summer peaking?
16 You know do forecast errors, you know sometimes that doesn't
17 make a huge deal, in other regions that does. We'll
18 probably hear from Mr. Sorenson and SPP later that they have
19 tremendous variable resources with their incredible wind
20 potential.

21 So a forecast error in SPP has a great impact
22 than say a forecast error in a place that relies on
23 primarily, on natural gas, or other base load fuels. So we
24 really want to make sure that we're measuring those
25 contingencies, and how often they may happen. Place that

1 value so that we're pointed to cost signals, and that the
2 operators who you know her, or his first priority is
3 reliability, and so he's not always -- he or she is not
4 always going to rely on cost to make those decisions.

5 So we want to make sure that they have the tools.
6 And then we look at the demand side of this. Of course,
7 that is also going to be variable in the upcoming future,
8 the near future as we see more demand response, we see
9 distributed energy resources. Demand is you know sometimes
10 very questionable, especially as we get closer to
11 electrification.

12 You know when are people going to be charging you
13 know their cars, and so it's going to change the load
14 profile, and so we need to make sure that we understand that
15 profile as well, and are able to respond to those customer
16 decisions.

17 Also I think separately we need to have customers
18 at the table when we do talk about this, and that's to
19 really gain an understanding of the tolerance level. Again,
20 you know for the industrial customers that I represent.
21 Having a potential outage, or you know, a limited outage.
22 Maybe an hour, maybe even a day, some of our customers would
23 have a tolerance for that. They can reroute operations to a
24 different facility, and would rather do that than pay
25 exorbitant costs for generation that's just sitting there

1 waiting to be called on.

2 Others you know are willing to pay a price for
3 reliability. They you know don't really care. They're
4 known as price sensitive. They just need to have that
5 reliability, that 24/7 good power quality, and so I think
6 and understanding of what tolerance levels are, and I think
7 in the prior technical conference that D.C.'s public office
8 you know counsel, brought up a good point is we need to have
9 demand at the table when we discuss this to understand the
10 level of tolerance.

11 And I think a little bit of education even for
12 the average retail customer. I know that's difficult. I've
13 always been taught that the customer only thinks about their
14 utility in two scenarios, and one is when their lights go
15 out, and two is when their bill arrives, and either time
16 they're not very happy. So let's have them understand
17 exactly what they're paying for, and what their tolerance
18 level is as well.

19 You know they hate it when they lights go out,
20 but you know is the price that they're paying so extreme
21 that we could you know lower those costs and have them
22 understand and come to the table with solutions, and perhaps
23 their tolerance level as well for interruptions in the power
24 supply.

25 So with that I'll wrap up, but I look forward to

1 the future questions, and thank you again for having me.

2 MR. MCLAUGHLIN: Thank you Karen. Next up is Tom
3 Kaslow, Vice President Market Policy, FirstLight Power.

4 MR. KASLOW: Thank you Michael. And first a
5 thank you to the Chairman, the Commissioners, yourself, Emma
6 and David, and other staff who put this conference together.
7 I really appreciate that opportunity to share FirstLight's
8 thoughts with the panel.

9 I am the Vice President of Market Policy for
10 FirstLight Power. We own and operate in New England a fleet
11 of hydro resources. We have the largest pump storage
12 facility in New England, and we also have another facility
13 is the oldest pump storage facility in the United States.
14 We also have a solar farm and two customers sited with the
15 lithium ion battery.

16 So we provide considerable flexibility to the
17 supply of energy and the region's ramping needs, peak
18 supply, dispatchable load to manage generation, over-supply,
19 top line and synchronized research in ATC, we do it all, so
20 we're really interested in this topic.

21 At least in New England, uplift eligibility and
22 other details in the day ahead and real time markets seem to
23 work reasonably, well with of course the biggest exception
24 in the New England market is we don't have the day ahead
25 reserve market yet. We're hopeful that ISO New England

1 completes that day ahead design and files it with the
2 Commission soon to correct that thought.

3 However, supply offer rules governing the
4 flexibility into the day ahead and real time markets, really
5 starts at the point of capacity. Those rules require
6 permission to dispatch flexibility that the capacity
7 resources design can support. For existing resources with
8 known designs, the current rules that apply upon their sale
9 of capacity do obtain the flexibility that is possible from
10 them.

11 While the current market rules require
12 flexibility from equipment inside the generating tent, some
13 resource designs like gas only fired resources do rely on
14 equipment outside of that like gas supply and transportation
15 infrastructure. And the market rules can and do require
16 them to seat gas, but the market rules cannot require them
17 to get gas, an uncontrolled event.

18 Further, as costs of spot gas increases, the
19 least efficient units get pushed out the dispatch stack, and
20 just for practical purposes really get out of reach of the
21 ISO system operators and other resources run harkening to
22 Karen's earlier comments.

23 So with respect to new investment we think the
24 question needs to be asked is why would a new investor
25 considering adding resource flexibility want to do so if

1 their outcome is only to be paid the same capacity price as
2 the resource that's extremely inflexible and rarely are
3 never run.

4 The consequence of this flaw is likely to
5 manifest itself by either narrowing new investments to
6 technologies less capable of flexibility, under designing of
7 technologies that could otherwise be flexible, or the most
8 inefficient of all -- precluding ISO dispatch of otherwise
9 flexible resources by their choice to operate outside the
10 RTO/ISO markets as unregistered distributed generating
11 resources, or behind the meter resources.

12 Those resources must be scheduled 100 percent of
13 the time, and not only does ISO not control them, they
14 cannot even see their operation for a time. FirstLight
15 encourages the Commission to think of the operating reserve
16 market as a three legged stool, for the day ahead market,
17 the real time market, and the capacity market of the three
18 legs.

19 There's no day ahead or real time fix that
20 substitutes in correcting the capacity market flaw that
21 exists, which I think is driving some of the concerns that
22 Karen mentioned. The effectiveness of that compensation
23 signal is central to encouraging flexibility. Equal pay
24 demands equal work. A lot of hope was placed on pay for
25 performance to do that, however in New England with only one

1 event in three years that designs, at least as designed does
2 not appear up to the task.

3 The common obligation to some form of
4 enhancement, or adjunct the PFT should apply to situations
5 where the system is tight, but prior to reaching a
6 deficiency. We have ideas and there are other stakeholders
7 within New England that are talking about these types of
8 changes, and we hope that that will be considered in light
9 of priorities that are given to ISO New England, and thank
10 you for the opportunity to present these comments, and I
11 look forward to questions, thank you.

12 MR. MCLAUGHLIN: Thank you Tom. Next up is Greg
13 Sorenson, Manager, Market Surveillance and Mitigation,
14 Southwest Power Pool, Greg?

15 MR. SORENSON: Thank you. Good morning Chairman.
16 Good morning Commissioners. Thank you very much for
17 inviting me to be part of this panel and represent the
18 Southwest Power Pool market monitoring unit as we discuss
19 the future of energy and ancillary service markets.

20 These markets are a very important part of
21 ensuring reliability as they allow the system operator to
22 specify the quantity of ancillary services required to safe
23 operation, and then allow the market to obtain the optimal
24 set of resources. Certain maintenance costs increase as
25 units operate in a more flexible manner.

1 Additionally, we've observed that price
2 volatility to reduce generator's confidence that market
3 prices will remain high, which leaves them to sometimes
4 operate near their day ahead position instead of being
5 flexible in the real time market for unforeseen events.

6 And as renewable generation increases, we have
7 seen the price volatility increase in both SPP integrated
8 marketplace and the western electricity market. Volatile
9 prices make starting even more financially risky. In
10 particular, additionally we see as the variable energy
11 resources increase, that 5 percent forecast error and
12 manifest itself on a 15,000 megawatt wind day as a 750
13 megawatt shortage, which is the size of many power plants.

14 In the SPP market that market monitoring unit has
15 spent time in the last few years discussing the importance
16 of placing units in market commitment instead of
17 self-commitment status. This practice of not allowing, or
18 excuse me, the SPP practice of not allowing self-committed
19 resources has encouraged resources to offer in a market
20 status.

21 As more resources offer in market status, if they
22 have load that faster start up times lead to more
23 commitments. Initially, we have observed units increase
24 their ramp rates after major overalls, likely to respond to
25 negative prices that appear in real time.

1 The real time market of SPP sees significant
2 price volatility as ramp shortages lead to high real time
3 prices for very short duration. While some resources have
4 increased their ramp in order to capture this value, some
5 resources have chosen to maintain their day ahead position
6 as a result.

7 The ramp side which has been approved by the
8 Commission and will be implemented in April 2022, will help
9 smooth out these price hikes. The fast start changes to
10 provide uplift to fast start meters will help encourage them
11 to start. SPP could change the day ahead commitment cost
12 and set a minimum run time instead of treating all the units
13 longer than 24 hours the same.

14 This would encourage shorter minimum run times.
15 On the other hand the start up and shut down for a steam
16 unit leads to the thermal day can be relatively expensive to
17 repair in major overhauls. The MMU in response spearheaded
18 an effort a few years ago to allow the major maintenance
19 cost to be included in the mitigated start up and no load
20 offers.

21 Surprisingly, several resources have not yet
22 applied to the market monitor for this additional cost to be
23 added to their offers. While a rule could be added to
24 require resources to offer full flexibility, more
25 flexibility does come at a price, and that needs to be

1 considered as a new rule is thought about.

2 Transitioning natural gas limitations are
3 reflected in offers in two ways. Sometimes units must offer
4 on a regular take, that is they have to take the same output
5 for all 24 hours in the gas day, which removes all
6 flexibility that unit had. A few years ago when gas prices
7 were very low in west Texas, a number of natural gas
8 resources were running constantly, more economically at the
9 maximum which reduced the flexibility that normally exists
10 with those units, it's just rougher.

11 And finally the MMU has observed that some
12 natural gas providers are not open outside of 8:00 to 5:00
13 Monday through Friday, so you didn't think that otherwise
14 start in 10 minutes to follow some sort of emergent problem,
15 a very long lead time actually is hours.

16 It required all natural gas providers to provide
17 some level of service 24 hours a day to help improve
18 flexibility greatly. I thank you for the opportunity to
19 present, and look forward to additional discussion with the
20 expert panelists.

21 MR. MCLAUGHLIN: Thank you Greg. Our last
22 panelist is Dr. Catherine Tyler, Deputy Market Monitor,
23 Monitoring Analytics. Catherine?

24 DR. TYLER: Hi good morning everyone. I'm
25 Catherine Tyler. I work for the Independent Market Monitor

1 for PJM, who was on the panel in the last conference that
2 began to address some of these issues, and we appreciate the
3 opportunity to come back and speak to them some more.

4 I will start by pointing out that the way the
5 question was framed I think is not quite the right question,
6 it's not where our concerns are. The question isn't
7 necessarily whether resources offer flexibility, but we need
8 them to perform flexibly, so there is a difference there.

9 The PUC rules require offering flexible
10 parameters. We have must offer requirements in energy and
11 reserve markets. There's plenty of flexibility on paper.
12 There's a general lack of accountability to perform flexibly
13 in the market. PJM has a rule to establish physical offer
14 parameters that must be included in parameter limited
15 offers. These should be used in market power mitigation and
16 during stress market conditions consistently.

17 But PJM implements the rules in a way that makes
18 it very easy for resources to avoid commitment on those
19 offers. And the market's flexibility needs increase using
20 those parameter limited offers will become more crucial.

21 We observed situations where offers are flexible,
22 but the actual performance is not flexible. The market
23 needs to account for the performance of the resources.
24 Customers see a premium for capacity that is meant to meet
25 performance standards. Some examples -- PJM has called

1 synchronized reserve events for load dates on high load days
2 when units could not achieve their economic maximum due to
3 ambient temperatures.

4 And there are no repercussions in the outage
5 rules or the uplift rules. This is a failure to meet energy
6 market must offer requirements, and the solution would be
7 penalties based on capacity market prices. Investment in
8 turbines in PJM has been called on based on cost based
9 offers with special notification times, but the unit could
10 not come on because they were not fast, and there were no
11 repercussions for this.

12 PJM told these resources then to submit what they
13 call real time values, which are overrides of the required
14 notification times, but there's no repercussions for this
15 situation. And PJM hasn't proposed a workable solution to
16 the problem. The logical solution here again is penalties
17 based on the capacity market prices which are paid for
18 meeting certain performance standards.

19 PJM also is regularly reducing the amount of
20 reserves that it calculates from what is offered because PJM
21 does not trust the ramp rates or the performance of certain
22 units. The ramp rates are offered, but they're not
23 achieved. It would be better to clear reserves based on the
24 offered ramp rates and then use stronger penalties for
25 non-performance, so we can get the right offers to match the

1 performance.

2 So overall the flexibility is offered, but it
3 doesn't always translate into real time performance. This
4 undermines reliability. PJM needs rules that discourage
5 rather than reward this behavior. In most cases the reward
6 for this behavior is uplift payments. Resources that do not
7 follow PJM's dispatch instructions should not receive
8 uplift.

9 Where we do see limited offered flexibility is,
10 as has already been mentioned, generator modeling,
11 especially for combined cycles, as this leads directly to
12 less flexible offers than what generators can perform to.
13 The stakeholder process has been an obstacle to improvement
14 in this area, and this is because better generator modeling
15 goes hand in hand as it should with more accountability for
16 performance.

17 And so we need some perhaps help there to move
18 those proposals forward when they stall in the stakeholder
19 process even though they're very much needed. On the
20 question of the gas scheduling, the PJM rules accommodate
21 inflexibility due to gas scheduling restrictions. These
22 restrictions are becoming more common, and it's not only in
23 the winter, its' also on hot summer days. And the rules are
24 accommodating the inflexibility.

25 We allow 24 hour minimum run time and long

1 notification times based on something that's coming up from
2 the gas pipeline. And this is accommodated through generous
3 uplift payments that allow the cost of this pipeline
4 inflexibility to be passed on to customers.

5 This shouldn't be an acceptable standard.
6 Capacity resources should be required to have dual fuel or
7 flexible firm gas supply arrangement, and currently the
8 accommodation for the inflexibility on the gas side are all
9 being pushed from the gas business to the electric business.

10 Reforms are needed not just on the electric side,
11 but also to get more flexibility and accountability from the
12 fuel suppliers as well. So overall I think the comments
13 that we have, and I think that's typical out of what we've
14 heard already are that you know we need to set some
15 standards on the capacity side to make sure that we know
16 which flexible resources are there that we need, and then to
17 hold those resources to higher performance standards.
18 Thank you.

19 MR. MCLAUGHLIN: Thanks Catherine. And thanks to
20 all the panelists for their initial responses. And at this
21 point I encourage each panelist to respond to the great
22 points made so far, and Emma, the Chairman and
23 Commissioners, also to ask follow-up questions. If you have
24 comments please raise your hand and I will call on you in
25 order. Thank you.

1 MS. NICHOLSON: Karen Onaran you have your hand
2 up. Please go ahead, and then we will have followed by
3 Sherman Knight and Tom Kaslow please.

4 MS. ONARAN: Yeah thank you Emma, and I just
5 wanted to follow up a little bit on what Dr. Tyler had to
6 say. You know as far as penalties, and I do agree you know
7 we're always you know about cost causation and beneficiary
8 pays, and so I want to make sure that when we do have
9 specific penalties perhaps for those that commit, but do not
10 show up, or do not perform as flexibly as they expected,
11 that there is a mechanism to make sure that those penalties
12 are not then transferred to customer costs.

13 So just wanted to make that point. I absolutely
14 do agree that penalties are necessary when there is not the
15 performance expectations, but just want to protect those
16 customers and make sure that that's just not -- those
17 penalties aren't then transferred to the customer.

18 MS. NICHOLSON: Thanks Karen. Sherman Knight
19 from CPV.

20 MR. KNIGHT: Sure. Thank you. I think I want to
21 address Dr. Tyler's -- some of her comments. I think
22 penalties do make sense to a certain extent for obligations
23 that want to put on tolling. I think if we set a standard
24 on capacity market for a certain flexibility, I think we're
25 you know as an overall ISO we're going to be clipping the

1 total capability of all.

2 For example, standard sets a minimum hurdle in
3 which you have to apply, but I think there's a lot that can
4 be done in some of the existing generation that could create
5 additional flexibility. And a lot of it is just kind of
6 right around the engines. So for a specific example a lot
7 of our combined cycles have you can ramp from the minimum,
8 you know, operating condition. You can ramp the gas turbine
9 up, the steam turbine comes up and on the ramp rate.

10 And then you put in duct firing, which is gas
11 directly to the boilers, which just does the steam turbine.
12 And that ramp rate is a different ramp rate because it's
13 really a different mechanism. But there's really no way to
14 put in the two different ramp rates. So to the extent that
15 there's penalties for not putting in a ramp rate, you know,
16 for example for not meeting a ramp rate.

17 You know the natural inclination is you go with
18 the lower one so that you're not getting penalized. But
19 that would then preclude a significant amount of you know
20 ramping that occurs in you know the lower portion of the
21 commodity cycle. So I'm not trying to you know like say
22 that specific one, but I just think that there's a lot of
23 very technical specific things, and that's just a combined
24 cycle.

25 And I don't know about hydro, or you know other

1 resources that I think if one only sets a minimum standard
2 we're going to end up with a lot of generators that are only
3 meeting that minimum standards, and that's where I think
4 it's more important to set it up such that there's an
5 incentive to get the maximum out of each of the generation
6 assets, and then everybody out there, each of the I should
7 say resources -- storage, you know, demand response, then
8 everybody goes to the drawing board and can think about what
9 is the most effective economic way to create that
10 flexibility in the system.

11 Which may not be obvious to any of us on the
12 panel. You know it's probably obvious to a lot of like
13 engineers behind the scenes, but not necessarily from our
14 perspective.

15 MS. NICHOLSON: Thank you Sherman. Tom Kaslow,
16 FirstLight?

17 MR. KASLOW: Thank you Emma. It's encouraging to
18 hear the focus on this panel on the importance of making
19 sure that the products that are purchased, that the
20 resources that are required to deliver them. I would
21 emphasize though that carrots are certainly more effective
22 in markets than sticks, but we don't have revenues to
23 reinvest in the facilities that provide flexibility it's
24 going to be a very inefficient loss in flexibility.

25 So if penalties when they use them in this term

1 are code for financial settlement of performance obligations
2 not delivered, then we would agree. The problems -- at
3 least in New England, I think it probably exists in the
4 other markets too, is that the capacity market obligation is
5 not the same for all.

6 Our facilities, particularly our pump storage
7 facility operates every day, and it provides a lot of
8 savings to the system many times each year from having
9 reserve deficiencies, yet we're paid the same price as any
10 other one of the resources in our fleet. It rarely, if ever
11 runs. And so we're missing something there we had great
12 hopes for PFP and I am still a big supporter of that. I
13 think that we're just relying solely on deficiencies to
14 enforce the flexibility that we need to avoid deficiencies
15 of where the shortfall is and initial design, hopefully
16 there's some focus on that going forward, thank you.

17 MS. NICHOLSON: Thank you Tom. Can we hear from
18 Greg Sorenson from SPP?

19 MR. SORENSON: Yeah thank you Emma. I would like
20 to note that you know I think Karen Onaran was definitely on
21 to something by highlighting the importance of the increased
22 demand participation, and there's a lot of opportunities in
23 both demand response, and distributed energy and other types
24 of collaborative efforts to increase the amount that demands
25 respond to prices, and increase the amount that the demand

1 responds to other types of emergencies.

2 And I think that's essential for flexibility as
3 you continue to add more and more intermittent resources you
4 have to figure out who is willing to get out of the system
5 at some price, and then keep the rest of it reliable.

6 And I think also as we think about the value,
7 what is the value of the generation, and then what does the
8 generator need to get paid in order to perform. And
9 certainly during the winter weather events you know it was
10 definitely highlighted that the generator needs to be
11 compensated not just for their actual cost to shore up our
12 margin also out of the generation, but also they expect to
13 recover some amount to cover their risk of actually you
14 know being able to start in an emergency.

15 So they have to be able to cover both of those to
16 feel like the value that they're getting paid is sufficient
17 for them to actually be able to perform both during
18 emergencies, and just provide general flexibility, thank
19 you.

20 MS. NICHOLSON: Thank you Greg. Can we hear from
21 Catherine Tyler, Monitoring Analytics?

22 DR. TYLER: Yeah thanks. I appreciate the other
23 panelists comments on the question of penalties. The
24 penalties versus higher payments, both of which are
25 incentives, is an important question, and we do acknowledge

1 recognizing Sherman Knight's comments about ramp rates that
2 generator modeling issues contribute a lot to some of these
3 inflexibility issues that come up, especially for combined
4 cycles, and better modeling to match the capabilities of the
5 resources would help a lot.

6 The thing that we see over and over the last
7 several years in PJM is discussions of flexibility leading
8 to new market design changes that will see capacity
9 performance, faster pricing. PJM's proposed extended
10 operating reserve demand curve, all you know in the name of
11 providing more revenue streams for resources that are
12 flexible, but in all cases they also create higher revenue
13 streams for the resources that are inflexible at the same
14 time.

15 So we can keep doing this, but it's not going to
16 lead where we really need to be, which is in a place where
17 the resources that are in the fleet are those that are
18 flexible and are ready to perform flexibly. We need to look
19 at these proposed changes and not only how they affect the
20 resources with the flexibility, but those with the
21 inflexibility.

22 MS. NICHOLSON: Thank you very much. I have some
23 follow-up questions, but I wanted to confirm if the
24 Chairman, Chairman Glick and Commissioners have any
25 questions. Do you have any follow-up questions please go

1 ahead and jump in, or raise your hand.

2 All right. Hearing none, thank you all very much
3 for your answers there and responses. I think it's
4 certainly very important that we both need a resource to
5 have incentive to both offer and perform and I think we all
6 sort of assumed that an offer flows through naturally to
7 performance, but thank you for clarifying Catherine that we
8 do need both resources to make their flexibility available
9 to the market, and respond flexibly, and we've heard I
10 think about two schools of thought about the carrot and
11 stick approach.

12 And to Tom, that's exactly how I think of it, Tom
13 Kaslow, and in terms of well how do you get the best
14 performance out of people. And I'd love to hear your
15 thoughts as to which is the more effective approach and also
16 we've also heard some discussion at the last conference, and
17 this one about which market, the energy or the capacity
18 market that is most appropriate to procure and compensate
19 resources for flexibility.

20 We've heard a lot of comments in the final panel
21 on market design at the last conference that energy and
22 ancillary services markets are most ripe and appropriate to
23 incent more flexibility because they're real time, they're
24 very dynamic and capacity markets are often three years
25 forward, and have a single capacity requirement for the

1 entire year, whereas flexibility requirements not only do
2 they vary within the day or the hour.

3 They change markedly depending on weather events,
4 so I'd love to hear some of this discussed if the panelists
5 could talk about for those who think capacity markets are
6 the appropriate mechanism to require flexibility, how would
7 a capacity market incent in resource flexibility if it's so
8 forward, so long in advance, and also any comments that you
9 have on sort of a carrot versus stick approach of incenting
10 through payment versus punishing through penalty resource
11 flexibility.

12 So raise your hands, I'd love some comments. How
13 about first we have Dr. Nichole Bouchez, I think it's
14 Bouchez, that's the French pronunciation and then I see Tom
15 Kaslow, so please Nicole.

16 MS. BOUCHEZ: Either pronunciation works Emma.
17 So we don't think the capacity markets are the primary way
18 to incent flexibility. And are really sort of entertaining
19 ancillary markets and more and even most importantly the
20 real time market is really where the rubber meets the road.
21 That's where the need is, and that's where the response
22 matters. And so we've really focused on those areas, in
23 terms of what is needed from the resources, and also what
24 capability can the resources bring to the table.

25 And you know we want the broadest participation

1 possible, but we also want effective participation is what
2 it comes down to. You asked about carrot versus stick. I
3 mean I think both come into play. If you don't have the
4 carrot it doesn't make any sense right? You need to
5 correctly compensate for the cost, and make sure that you're
6 covering the cost incurred of the units who are responding.

7 On the other hand there are consequences to not
8 responding, and those are needed as well. So you know I
9 think both carrot and stick are in play there, thanks.

10 MS. NICHOLSON: Great. Thank you very much
11 Nicole. Can we hear from Tom Kaslow of FirstLight please?

12 MR. KASLOW: Thank you Emma. I think it's useful
13 to have these panels because we all arrive with different
14 perspectives, and following the last comment I recognize
15 that it is the real time operation where the rubber hits the
16 road of the RTO/ISO system operator -- that's their focus
17 keeping the lights on.

18 However, the rubber hits the road well before
19 that from a commercial standpoint. If the consequence of
20 making a capacity sale is that our resource has to offer its
21 full design flexibility into the day ahead and real time
22 markets, the title is transferred there. That's where the
23 commercial transaction is really made. The rest of the
24 discussion about what happens in the day ahead and real time
25 is really just a question of whether or not there is any

1 payment, and at what level.

2 The sale has been made. It may be that certain
3 resources end up being more flexible and more economic to
4 provide that flexibility on a given day in the day ahead and
5 real time, but the obligation on all of us starts in
6 advance. So if that is ignored, we would be ignoring the
7 fact that that forward obligation is actually bounding the
8 future day ahead and real time outcomes.

9 They have the obligation to do it to an extent.
10 So I think they all work together as I use the three legged
11 stool. It really can't be separated, or else the stool will
12 not stand.

13 MS. NICHOLSON: Thank you Tom. Dr. Catherine
14 Tyler?

15 DR. TYLER: Yeah thank you. I absolutely agree
16 that the energy and capacity markets need to work together.
17 Of course there is a real challenge there when you have cost
18 of service markets, or parts of your market, and then that
19 question really doesn't apply and creating incentives for
20 investments becomes much trickier.

21 At PJM luckily, we have a capacity market that
22 could be used better in this regard if the capacity market
23 payments, or even also your uplift payments in real time are
24 your carrots that you're offering out there, that comes with
25 these obligations as Tom Kaslow was just saying, to perform

1 flexibly, and to provide the services that the market needs
2 -- the capacity market puts that out there for the needed
3 investment to be made for the needed maintenance to be done.

4 And you know at PJM we've been working towards a
5 new approach to the ELCC that's a tool that can be used both
6 for renewables and for thermal resources to really look at
7 who is available, and who performs, and who performs the way
8 that is needed, and then you have a situation where you can
9 make sure that you are offering that incentive to the right
10 set of resources.

11 But then you need to have something in place to
12 take that away when they don't provide what they are being
13 paid to provide.

14 MS. NICHOLSON: Great, thank you. We also have
15 Greg Sorenson from the SPP.

16 MR. SORENSON: Yes thank you Emma. Just a short
17 comment, and I think it's important to recognize that the
18 need for flexibility is not the same during every single
19 hour of the day and is not the same as you go from load to
20 load. So for example at SPP you know the regulation up and
21 regulation down requirements are calibrated for each hour,
22 and that's based on the value of the load, how much we think
23 the load is going to change, and also how much intermittent
24 resources we have, and how much we think they're going to
25 change in each hour.

1 And so that's very important because certain
2 hours I might only need to change if the operators come up
3 with 600 megawatts of reserves, other times I might need to
4 come up with 1,000 megawatts of reserves for reliable
5 service. That provides an appropriate balance between
6 making sure we're flexible, making sure we're reliable, and
7 not procuring more reserve services than we actually need.

8 And similarly, we care how that uncertainty price
9 will be allocated. Now if this is required it will vary
10 each hour based on the anticipated system needs for it.

11 MS. NICHOLSON: Thank you very much Greg. I have
12 one other follow-up from the movers and shakers that are
13 generators on the panel. We have heard from Sherman Knight
14 and Tom Kaslow that right now you're not in the markets --
15 are not giving you the incentives, and that essentially you
16 would get the same -- to be flexible, excuse me, that you
17 might get the same compensation for, or just receive your
18 cost for being flexible versus not.

19 And we'd love to hear from you what do you need,
20 and what markets, if any, do you think are doing
21 particularly well in this area. Greg just mentioned a
22 ramping product that I know is not in force in the northeast
23 yet, but it exists in MISO and California, and will come out
24 in SPP. Would something like a ramp product, or other
25 reforms work?

1 I would love to hear what you need, what
2 resources need from these markets to have the incentives to
3 both offer and perform flexibly to meet the changing system
4 needs, so if Sherman or Tom have a response we'd love to
5 hear from you. And I see Tom your hand is raised. Please
6 go ahead.

7 MR. KASLOW: Thanks. We're not discouraging if
8 there's interest in some type of a ramping product. We're
9 not in the markets that currently have one of those.
10 Anecdotally I'm hearing that they're not particularly
11 effective, at least in terms of supporting the investment
12 flexibility.

13 And as a practical matter I think it would be
14 useful to look at the contribution of capacity market
15 revenues over time to resources' revenue adequacy. The
16 capacity payments are a substantial portion of what the
17 resources rely on to continue their reinvestment in
18 facilities, so if you need to look at offer rates, as we
19 learned in school, but there is no substitute for getting
20 the capacity market right, and to point back to Karen
21 Onaran's comments earlier that consumers don't really want
22 to pay for capacity for resources that they're not getting
23 much from.

24 We completely agree with that. There is a
25 problem in the New England market right now where those

1 surpluses we have, you know, you get 1,350 megawatt surplus
2 beyond the installed capacity requirement, and now you're
3 down between \$3.00 per kilowatt month.

4 And if that was all based on the common product
5 sale, that would be a fair outcome. The problem is the
6 \$2.60 price that we just had ends up being comprised of
7 resources that know they're not going to be asked to do too
8 much, and we know that firsthand because we had one that
9 went through our fleet. I didn't mention we have this one
10 little 20 megawatt kerosene fired jet. It can do stuff, it
11 hypothetically can.

12 And under ELCC it will probably do fairly well,
13 but it just doesn't operate much because it's outside of
14 dispatch economics. And so as a consequence we really need
15 something that's going to provide a common obligation. You
16 know everyone can't provide the same level of performance.

17 And when I say a common obligation, not that
18 everyone has to supply that there's a 5 megawatts per minute
19 ramp, but that there is an evaluation of the extent of
20 contributions that they make that ends up factoring into
21 their capacity compensation.

22 So you know our little jet that can but doesn't, probably
23 doesn't deserve as much of a payment.

24 And the resource that runs a lot like our pump
25 storage facility probably deserves more than the current

1 market price reflects because we're obligated to provide
2 more than others are. Yeah, we've got an energy payment,
3 and some operating reserve payments, but frankly those are
4 tiny compared to the capacity payments, other than gross
5 energy revenues. I'm talking about net energy margin.

6 So one of the thoughts that we're having and
7 actually shared within New England is coming up with a
8 common obligation. We've had several different ideas.
9 We're actually trying to converge stakeholder proposals
10 because having many proposals before the ISOs just seems a
11 lot of resources efficient rates to have common need
12 definition and a common solution.

13 But it's coming. The current concept is probably
14 more likened to some form of an energy call option where
15 everyone's subject to the same type of financial settlement
16 that we all talked about, and the strike price on that would
17 be very high, just at criteria.

18 It would be much lower when we had significant
19 surplus and separate at least from the material, that
20 significant surplus. So hopefully there will be more coming
21 on that. I don't have more design to give you.

22 MS. NICHOLSON: Great, thank you very much Tom.
23 And Sherman, you've also kindly agreed to answer, so go fire
24 away thanks.

25 MR. KNIGHT: Sure. Thank you for that. I think

1 from our standpoint I think the capacity given that it's
2 three years in advance in some markets, or at least a month
3 long product, it's not granular enough to fully provide just
4 you know the needed flexibility when it's needed.

5 And I think Greg Sorenson summed it up extremely
6 well that there's certain hours during the day, and certain
7 months during the you know, when more is needed, and
8 sometimes less is needed, and therefore the value of that
9 you know increases and decreases depending upon when the
10 demand for supply is at.

11 I think you know to put it into more granular
12 context, you know, back to kind of the engineering of it.
13 You know for example at some of our plants when we ramp past
14 a certain level we have to turn on a boiler feed pump. That
15 -- every time you cycle that, you know, it's known after you
16 know 4,000 cycles you have to spend \$400,000.00.

17 So you know we don't want to move it past that
18 ramp forming you know because we're not getting you know
19 paid to do so, then you know we're just incurring costs.
20 And that's a very granular thing. You know for example will
21 we do that to meet a reliability need? Absolutely. Will we
22 do that -- are we happy about doing that when we get uplift
23 payments and get paid our theoretical costs back? Not
24 particularly excited about that.

25 So you know there's not currently a mechanism to

1 have that granularity. And the other thing you know for
2 example is we can create more flexibility by lowering the
3 min load of some of our combustion turbines or combined
4 cycle plans, primarily because the min load is set by
5 basically ignitions that locks levels.

6 And combustion technology is approved. We change
7 out the combustion, it's investment, we can drop that you
8 know increase the amount that we can ramp by you know call
9 it 5, 10 megawatts, I'm not exactly sure for example. That
10 requires the investment, and currently there's no mechanism
11 to actually get paid for that investment.

12 And going back to Karen's comment about from a
13 consumer perspective, I think from an incentive point of
14 view I think we can do that much cheaper, than building out
15 a 5 to 10 megawatt battery. And so if the attributes are
16 put in the market, and I think it has to be more than energy
17 and ancillary service or real time because it is very you
18 know granular, that creates then the economic incentive to
19 go about meeting those attributes in the lowest cost way.

20 Maybe that's a lithium ion battery. Maybe it's
21 simply you know, changing out combustors at some of the
22 plants to be able to lower that min load. Maybe it's you
23 know just cycling the boiler feed pump more. I don't know
24 the actual answer, but right now there isn't that granular
25 ability on a real time basis to actually figure out the best

1 economic tradeoffs which ultimately will lead to the lowest
2 price for consumers.

3 MS. NICHOLSON: Thank you very much Sherman and
4 Tom for answering. I'm going to now pass the mic to my
5 co-moderator Michael McLaughlin.

6 MR. MCLAUGHLIN: Thank you all for these great
7 responses and thoughts. The next question for the panel is
8 to what extent do the existing self-scheduling rules in
9 RTO/ISO markets reduce the amount of operational flexibility
10 available to the RTO/ISO market, are options for
11 self-scheduling needed to allow resource owners to make the
12 best use of their assets over time?

13 What market design changes that might encourage
14 more resources to compete economically. Please raise your
15 hand and we will call on you in order. Yes Nicole's hand
16 went up first and then Tom.

17 DR. BOUCHEZ: Sorry you cut out for a second. I
18 didn't hear my name. Thank you. I think in this discussion
19 we have to distinguish between self-scheduling and
20 self-commitment, at least in New York because the two are
21 very different. And they have very different impacts on
22 flexibility.

23 Self-scheduling absolutely does reduce the amount
24 of operational flexibility available in the real time. It's
25 less clear that self-commitment does, and I'll talk about

1 that a little bit later. In New York self-scheduling
2 appears largely to be used to accommodate inflexible
3 contracts. For example, natural gas contracts or legacy
4 physical contracts even.

5 And then in more limited cases to reflect
6 operational limitations, either of the resource itself, or
7 of the natural gas pipeline. And our focus should be to get
8 entities to negotiate more flexible contracts, and to have
9 the natural gas pipelines provide gas as flexibly as
10 possible, including potentially investing in flexibility.

11 And the markets encourage that right? We have
12 more in the long run because in the long run it's not clear
13 that self-scheduling is profit maximizing for suppliers,
14 because ultimately self-scheduling leaves money on the table
15 occasionally. It doesn't always, but it does you know. And
16 so the incentives at least are in the right direction there.

17 But self-commitment is a little different because
18 it's less clear that it reduces operational flexibility
19 available in real time. Self-commitment, and in New York we
20 think of self-commitment as either a self-commitment bid
21 mode which we have, or potentially by changing operational
22 parameters to make your -- the unit get committed, so we see
23 that as well.

24 It's all about commitment horizon. New York
25 commitment horizon in the day ahead market is 24 hours, and

1 is approximately two hours in real time, and I won't go into
2 all the vagaries of that. But the resources that expect to
3 operate longer than that right, in a longer time horizon,
4 they have the commitment risk to determine when they should
5 be committed, and when they shouldn't.

6 And that's where we see these self-commitment
7 modes and bidding behavior being used. So I think there are
8 good reasons to continue to allow self-commitment, but there
9 are also really good reasons to discourage the use of
10 self-scheduling, and to build rules so that the financial
11 incentives are not to self-schedule in our markets, thanks.

12 MR. MCLAUGHLIN: I think Tom was next.

13 MR. KASLOW: Thank you Michael. Many of the
14 discussions, including the start to this one, focused on the
15 ISO registered resources, the ones that are observable and
16 under their dispatchment. However, one of the things that's
17 happening in the industry now is an increase in the amount
18 of resources that impact the wholesale market, but do so
19 from outside the ISO's sight and control and talking about
20 resources that are connected with the distribution system or
21 behind the meter that aren't registered, and all of their
22 operation is a self-schedule of an even tougher type.

23 Since the RTO can't oversee their occurrence, or
24 even directly observe it when it occurs, you need to try to
25 forecast those changes. And on top of the fact that they

1 reduce the amount of connected load that needs to be met by
2 the flexible resources that are under dispatch control.

3 And while those resources by definition are
4 outside of FERC jurisdiction, the FERC jurisdictional
5 markets actually encourage this less flexible form of
6 business model through preferential incentives that were
7 provided under the RTO/ISO market. For example, in New
8 England, based on the recent forward capacity auction a 1
9 megawatt retail load could operate a 1 megawatt battery for
10 the single coincident peak load hour in the prior year and
11 obtain 140 percent of the capacity value of the same 1
12 megawatt battery if operated as an ISO registered resource
13 in the capacity market.

14 So that's based on the cost allocation design
15 that we have. Others may have similar designs, and it also
16 means that a customer could avoid paying any capacity
17 charges that rely on the capacity purchases paid by other
18 customers and all other 8,759 hours. So that type of a
19 functional signal to not be in the market subject to the ISO
20 dispatch, maybe one that gets the biggest bang for the buck
21 here.

22 With respect to resources that are under the
23 RTO/ISO control I think the incentive to not self-schedule
24 are a good five minute prices. If you self-schedule you're
25 going to get a lower price, but there are good reasons why

1 some amount of self-commitment in particular, I think that
2 clarification is a good one, need to happen.

3 You know, we operate energy storage facilities,
4 and much of the time the coordination between the storage
5 injections, and the storage happens within the constraints
6 of the facility according to the day ahead and real time
7 market offering, but that's not always. And sometimes they
8 need to actually use some of the real time generation to
9 make space to accommodate the day ahead purchases.

10 Other resources face similar situations, a gas
11 unit might buy a gas package and face not a very liquid gas
12 market, and the better option is actually to liquidate that
13 gas by burning it, and selling the energy and the more
14 liquid ISO electric market. Similar things happened when
15 resources fed by LNG need to make room for incoming tankers.

16 Hydro stations need to do it in order to make
17 room and offer reservoir in the station for calls,
18 approaching storm front is forecast, resource testing is
19 another reason. So it can't be, and shouldn't be
20 eliminated. But I think it's important to have the right
21 signals.

22 And in New England certainly the absence of the
23 day ahead operating reserve market isn't helping that, and
24 that's something that needs to happen there in any event.
25 Thank you for the opportunity.

1 MR. MCLAUGHLIN: Thank you Tom. Joseph I think
2 you're next.

3 MR. DANIEL: Thanks. And I want to start off by
4 saying that I agree with Nicole that self-commitment and
5 schedule have to be distinguished. They're two unique
6 practices, but I end up landing somewhere different when it
7 comes to the impact of self-commitment on flexibility, at
8 least in markets like SPP and MISO where I looked at this
9 issue most closely.

10 And I want to start off by discussing how
11 resource self-commitment differs in practice. And let me
12 use an example of a coal unit and a wind unit, those are
13 equal in this example or illustration would apply to. So if
14 you have a coal unit that is self-committed and is operating
15 at PMIN, if the grid operator can turn that unit up if
16 market prices go up and clear it's cost offer.

17 But essentially the grid operator, the market
18 operator can't dispatch that unit any further down, and it
19 can't turn off that unit because of the commitment status.
20 I don't know if there's an emergency. Now this stands to me
21 in stark contrast to the way self-commitment works for a
22 wind resource where you know wind self-commitments have
23 essentially no impact on price or flexibility because the
24 ISO -- the protocols for wind resources require that wind to
25 be dispatchable down to payment, and for when zero is at

1 zero.

2 So that means that the operator could effectively
3 turn off that unit, and you have the full flexibility of the
4 wind turbines along with that wind turbine is available.

5 And so you have dispatch down you know basically to zero for
6 most wind turbines in the U.S.

7 And so the impact of self-commitment shows up.
8 It's a regional like SPP or MISO in the form of wind
9 curtailment. Now you know at the onset I understand a lot
10 of wind curtailment is caused by transmission constraints,
11 but there is emerging evidence by power plants, and many of
12 them also own wind farms that their inability to you know be
13 dispatched down below their PMIN or operate below the PMIN
14 forces them to curtail wind resources.

15 And it's my assessment that once transmission
16 constraints are resolved, it is the inflexible operation of
17 self-committed resources that operate at you know
18 unreasonably high PMINs that will be the you know dominate
19 all of that for maintaining cost-effective reliability while
20 integrating higher levels of wind and solar and renewable
21 energy and electric vehicles and sort of getting to the grid
22 that we know is coming.

23 But the thing is that there are many of these
24 wind curtailment beds in SPP and MISO are 24 hours long, or
25 72 hours long, and if a single cold event, you know, not

1 necessarily in the whole plant, but a 350 megawatt unit were
2 to be turned offline, there are plenty of other resources
3 available during those seasons when these events are
4 happening which is typically spring and fall where there's a
5 surplus of capacity.

6 So the grid operator could maintain not only
7 meeting peak demand in its reserve markets, and have lower
8 system costs, and avoid these curtailments. It's actually
9 you know, from an engineering perspective, and economic
10 perspective all a perfectly achievable outcome.

11 And I think one of the things that was really
12 surprising to me is over the past couple of years I've
13 started to talk to solar developers and renewable energy
14 developers who told me that one of the things that they look
15 for when they're trying to locate where their power plants,
16 or where their facilities are going to be sited, number one
17 is transmission, and number two is you know the power plant
18 operations of coal fired power plants and other inflexible
19 resources, to see if that resource is going to suppress
20 prices and create all sorts of problems in terms of flooding
21 the grid with an inflexible power source, such that they're
22 the ones that are going to have to be dispatched out.

23 And they're the ones that are going to have to be
24 curtailed because you know ultimately the inverter based
25 technologies, wind, solar, storage, they're a lot more

1 flexible than those coal plants, the grid operator will turn
2 those units down. And so once those coal resources hit
3 their PMIN, you know there is now a flexibility issue at
4 play. And you know I'll say you know I'll wrap up saying if
5 those PMINs are not set in stone right, they can be changed.

6 Some of them require actual capital additions to
7 make those changes, but some of them you know have never,
8 you know, I worked in a lot of state PUC's and you know I'll
9 get involved in these rate cases, and ask you know the
10 utility have you ever done an engineering study on what
11 their PMINs needs to be set at and none of that has.

12 You know there's been a couple utilities that
13 have started to actually do tests to test the PMAN and they
14 found out that oh yeah, we were at a 60 percent PMAN and
15 then we were at a 50 percent PMIN, and now we're at a 40 and
16 we're testing 30. So we're actually currently doing that
17 process.

18 But you know most of them it's just been totally
19 operated at a certain level, or they'll use the contracts
20 which I think earlier -- say, we have a fuel contract such
21 that we set our PMIN based off an attempt to avoid
22 liquidated damages in our coal contracts.

23 But at which point you know there's all sorts of
24 other accounting issues that happen when they start to ramp.
25 So there are like real -- there absolutely are physical

1 flexibility limitations that are on the grid when you have
2 these high PMIN resources self-committing into the markets.

3 MR. MCLAUGHLIN: Thank you. I believe Greg was
4 next.

5 MR. SORENSON: Yes, thank you Michael. Thank you
6 Mr. Daniel for those comments. I do agree with you it is a
7 problem when people have inflexibility with contracts, and
8 the only reason why they're not producing you know a minimum
9 is they feel they have to earn that. And that's something
10 unfortunate for everybody -- the consumer and our bills
11 alike.

12 I think as far as I would agree that your
13 transmission causes are the main issue when the price
14 diverges, at least the wind curtailment at least in SPP.
15 Another issue we do observe is that wind generators will
16 tend to under offer in the day ahead market, which means
17 that more units end up getting committed than was otherwise
18 needed.

19 We sometimes see that the wind that's offered can
20 be as low as 80 percent of what actually shows up which of
21 course 80 percent of 15,000 is you know you're leaving at
22 you need 3,000 megawatts of thermal resources that have to
23 be committed in order to meet the reliability needs.

24 But transitioning a little bit you know we do
25 observe that self-commitment does actually increase the

1 amount of upwards operational flexibility during hot weather
2 and cold weather events that could be more important to the
3 grid. However, as you did note you know MMU analysis also
4 notes that prices are suppressed and generators that
5 particularly get subsidized by state regulatory processes
6 usually fair much better by self-committing. And we've
7 observed that merchant generators from a thermal and
8 renewable are disproportionately hurt by this practice, and
9 if you separate out the self-commits you'll find
10 disproportionately people who have the state utility
11 commissions as it backs out, so less uncertainty and
12 concern, probably least to recall for otherwise needed.

13 Self-scheduling was in part eluded to that does
14 greatly decrease the operational flexibility for the market,
15 and just as an example you know, if you have a hydro unit
16 with a ramp up rate of 20 megawatts per minute, at least at
17 the economic commitment of 102 and then back 104.

18 You know that means there's only two megawatts of
19 ramp actually available to the market value, so they're not
20 actually being very flexible in making use of either
21 specific self-scheduling or having very low amount of
22 flexibility, and that would be based on the aggregate.

23 I think you know as some other people have
24 already noted there are some reasons to do self-commitment
25 and self-scheduling, environmental testing, longer lead time

1 resources that cannot otherwise be committed by the day
2 ahead market as well as from the greater sensitivity of cold
3 weather.

4 It's important that those resources are ahead of
5 time, otherwise they really might be good options, in
6 particular with SPP you know, the Southwest Power Pool
7 provides uplift for resources at market status which allows
8 them to recover from the market, operators to operate the
9 generators, in contrast self-scheduling, you know you assume
10 all participants have --

11 Additionally we've added the addition of major
12 maintenance costs and offers, recovery of costs, starting to
13 operate particularly when the system operator has to start
14 the unit for some sort of emergency.

15 Finally, the market monitoring unit recommended
16 the self-commitment study in its annual report with an
17 additional day of optimization. And we think that would
18 greatly reduce the available resources that could not be
19 committed by the day ahead market, because that's another --
20 when we've done the surveys, that's why people say they like
21 self-commit because they didn't think they could use market
22 commit.

23 Additional data and studies should help resolve
24 that situation. Thank you very much.

25 MR. MCLAUGHLIN: Thanks Greg. Catherine I

1 believe you're next.

2 DR. TYLER: Yeah thank you. A lot of great
3 comments here. We have not had a problems with
4 self-commitment, and I definitely agree with that important
5 distinction between the commitment of the resource and then
6 how actually what level to schedule at or dispatch at.

7 The disqualification of uplift payments does
8 limit the behavior, although we do acknowledge the less
9 economic behavior of regulated cost of service resources.
10 There are some issues there, and I will clarify just going
11 back to the earlier question that comes up here as well.

12 We use the word penalties rather than carrots,
13 but what we really mean is simply taking away the carrot
14 that was given in the first place. Whether that's uplift
15 revenue, capacity revenue, or reserve revenue when the
16 resources don't perform rather than you know additional
17 charges.

18 And that comes into play with this question of
19 self-commitment and self-scheduling for sure, and uplift is
20 very important in this discussion where we observe issues
21 are when resources are receiving uplift, remaining eligible
22 for uplift while either their offer or through their
23 behavior they are self-scheduling. They're ignoring the
24 economic dispatch instruction.

25 Explicitly this can be done in PJM by something

1 that's called the fixed gen flag, like you just turn it on,
2 and it says hey PJM I am not following your dispatch
3 instruction at all, so I'm just going to do whatever I'm
4 going to do to the extent you've committed me, whereas other
5 resources can effectively do the same thing by just ignoring
6 their dispatch instructions.

7 And these resources do remain eligible for uplift
8 when they should not. They should be treated as if they're
9 self-committed. Sometimes this happens for some resources
10 because they require a phone call to change their output
11 levels, but the market creates no incentive to install
12 automation, or AGC. The flexibility there is offered as if
13 the resource could be dispatched up and down, but it's not
14 provided because there's no communication of the dispatch
15 signal to the unit.

16 There's also lack of automation for scheduling
17 CTs or diesels and other real time resources. And that's
18 unnecessary and inefficient. And the PJM dispatchers are
19 using a phone call to call on a resource in real time and to
20 call them off when you know both on the PJM side, and on the
21 resource side there should be software that sends specific
22 call on and call of times that could then be used for
23 accountability in the uplift settlement rules.

24 And this ties back to that self-commitment issue
25 because what you're looking for is economic and flexible and

1 precise timing of when you need the resource on, when you
2 need the resource up, and certainly there's plenty of
3 automation and software available to make that happen and to
4 create that accountability for when it doesn't happen.

5 Thank you.

6 MR. MCLAUGHLIN: Okay. Thank you. I want to
7 check and see if anyone else has follow-ups, or if the
8 Chairman or Commissioners have any questions here that they
9 would like to ask.

10 COMMISSIONER CLEMENTS: I'd like -- this is
11 Commissioner Clements. I'd like to jump in with a question.

12 MR. MCLAUGHLIN: Great, thank you.

13 COMMISSIONER CLEMENTS: Thanks. This goes back a
14 little bit to the previous question, but certainly is
15 related to the onset of answers that you all just provided.
16 So if flexibility is not valued, and therefore not
17 compensated properly, I would think intuitively that good
18 scarcity pricing on its own would incent some level of
19 flexibility, so you capture the profits when the prices go
20 high and operating right, when the prices go low.

21 But it sounds like this isn't fully working. I'm
22 just wondering whether when you talk about whether we need
23 capacity changes or a ramping product, or you know, some
24 combination, how do we think about the part of the solution
25 set on valuation that is the efficacy of scarcity pricing

1 approaches.

2 MR. MCLAUGHLIN: I'm not sure, Karen?

3 MS. ONARAN: Yeah thank you Michael, and I'll
4 follow-up with Commissioner Clements' question as well, but
5 I just wanted to you know point out that consumers in
6 general are not a big fan of self-commitment. I think what
7 we agree is we would love to pay for the flexibility. What
8 we don't want to pay for is inflexible units that commit
9 themselves when they're otherwise uneconomical.

10 So if you know they have a certain plant that
11 they want to keep online, but it's not necessarily you know
12 clearing certain markets, and they want to continue to
13 operate and get payments for, we certainly don't want to
14 prop up uneconomical products.

15 And I think so in looking at the market
16 mechanisms to try to dis-incent that, and I think you know
17 what Dr. Bouchez said, sorry about that, is you now we have
18 to work to incent for those not to self-commit, and I think
19 what Dr. Tyler had said was you know, instead of maybe
20 penalizing, we're taking away that carrot.

21 And so you know I really think that from the
22 consumer perspective you know we want to pay to make sure
23 that we have secure power. We're not going to prop up
24 uneconomical generation resources.

25 MR. MCLAUGHLIN: Thank you Karen. Joseph did you

1 have your hand up earlier?

2 MR. DANIEL: I did, but it was in response to
3 something one of the other panelists said, so why don't we
4 continue with some of the responses to what the
5 Commissioner's question is.

6 MR. MCLAUGHLIN: Tom Kaslow, I believe you were
7 next.

8 MR. KASLOW: Thank you Michael, and thank you
9 Commissioner Clements for the question. I think there's one
10 thing that's useful to keep in mind by trying to understand
11 why current mechanisms don't work as well. A market signal
12 relies on running out of operating reserve, that's the
13 definition of scarcity that we inform.

14 Those events can and do occur. The event that we
15 had I think was due to a substantial change in import flows
16 that actually turned to exports when hydro Quebec
17 experienced some problems on their own system. So that was
18 -- I would consider that's a pretty extreme event, probably
19 one that the ISO operators didn't plan on for that
20 particular day.

21 But if there's an absence of flexibility
22 initially on the system, just to say some of the resources
23 that are there are removed, ultimately in the day ahead
24 scheduling the ISO is still responsible for developing a
25 reliable operating plan for the next day. They can't plan

1 into a scarcity. Indeed they take actions to avoid that.

2 So we've put ourselves in the situation of
3 relying on a market signal that only comes into place when
4 we run out of what we need. Probably not a good idea to
5 rely solely on that, hence power companies and others within
6 New England's focus on market signals that would set a
7 premium on flexibility when systems may be a little bit
8 tight, but not in deficiency.

9 And something that's more tied to the capacity
10 market, not to rule out the possibility of something like
11 ORDC, so I appreciate Karen's earlier comments about the
12 side effects of that, but something that requires everyone
13 to provide more contribution toward avoiding scarcity events
14 as opposed to awaiting the outcome of a scarcity event.

15 I was a big supporter of PFP, I thought that was
16 a great idea at the time, and just finding out through
17 experience. Maybe we had a great design, just off by a
18 slight hair. Thank you.

19 MR. MCLAUGHLIN: Mr. Sherman I believe you were
20 next.

21 MR. KNIGHT: Sure. Thank you Commissioner
22 Clements. I think it's a good question on scarcity pricing.
23 I think that the answer that I would give is it's 50
24 percent, it would help part of it. So scarcity pricing
25 occurs you know regarding the real time operations.

1 So for those generators that are off line or at
2 EcoMin, yes it provides a very strong incentive to move up
3 quickly, flexibly, as fast as you can, but for those
4 generators that are online and running at top load, or were
5 committed in the day ahead market, it doesn't do anything.
6 It doesn't incentivize the flexibility that's inherently
7 there.

8 So you know bringing you back to an example, back
9 to a combined cycle. It provides a huge amount of
10 flexibility to the grid. They move up and down all the
11 time. But when the market is tight they're dispatched in
12 the day ahead market typically all the way to the top.

13 They still have a tremendous amount of
14 flexibility inherent because they can ramp down
15 dramatically. So for example, you know if wind or solar,
16 really it's wind you know has a lot more output than
17 expected, you can ramp those units down. That has a value.
18 Scarcity pricing doesn't actually help that because they're
19 already dispatched at the top. It doesn't provide any more
20 incentives for them to be flexible. So I think partly, but
21 I don't think entirely.

22 MR. MCLAUGHLIN: Thank you. Greg I think you
23 were next.

24 MR. SORENSON: Yes thank you. I agree with
25 Sherman's comments, and I would add that a lot of times at

1 SPP we only have a five minute scarcity price signal, so
2 that tends to be actually too volatile for some generators
3 to respond. The other thing that we observed is that system
4 operators will actually commit units ahead and in real time,
5 which have the effect of removing those price scarcity
6 signals, and so you know that they committed the unit to get
7 more flexibility on the system, that price signal does not
8 make it into the market.

9 So that's the other reason why it's important I
10 think to look at these ramp products and uncertainty
11 products, products which solve specific issues just like the
12 issues of the system, thank you.

13 MR. MCLAUGHLIN: Thank you. I think you broke up
14 a little bit there for me. Did you finish your comments
15 Greg?

16 MR. SORENSON: Yeah go ahead thanks.

17 MR. MCLAUGHLIN: Thank you. Catherine I think
18 you were next.

19 DR. TYLER: Yeah thank you. Yes shortage pricing
20 is very important, and we do see -- and I think it was
21 expressed in the last conference by PJM that a reserve
22 shortage is really considered to be an unacceptable outcome.
23 And it's something to be avoided at all costs from the
24 operation's perspective, and perhaps we see shortages occur,
25 especially short-term ones that don't turn out to be a

1 crisis, and the operators are not taking emergency steps to
2 avoid it.

3 So there's something of a mindset that is
4 limiting the amount of shortage pricing that we're seeing at
5 PJM. And of course, we're facing a market design change
6 that's imminent in May 2022, where PJM wants to extend the
7 operating reserve demand curve out so that potentially what
8 you get is scarcity pricing all the time, which is much more
9 costly than -- and a much less targeted price signal than
10 the shortage pricing that we see today, so that's an
11 important distinction to make, and there is something that
12 needs to be done there in the ORDC reforms, and also with
13 that mindset around you know what a shortage means,
14 especially if it's not a crisis and not going to last that
15 long. Thanks.

16 MR. MCLAUGHLIN: Okay. Thank you Catherine.
17 Nicole, excuse me.

18 DR. BOUCHEZ: Thank you very much, and thank you
19 Commissioner Clements for the focus on the incentives for
20 flexibility. What the NYISO rules do is focus really
21 specifically on those intended flexibility, and the question
22 is entirely correct that scarcity pricing is part of that
23 solution.

24 And again, you know it's really that focus on the
25 real time markets, and on the needs that is really driving

1 that. And yes I love this discussion of carrots and you
2 know, and taking away the carrots. We don't see that the
3 right answer is to focus on capacity market compensation for
4 flexibility because it's just not at the right time when we
5 need it, and it's hard at that point to match sort of
6 performance with what it is that was purchased.

7 We have under and over generation penalties in
8 the settlement and dispatch model, you know, in real time.
9 And those intervals align perfectly. So if they are not
10 performing we have a penalty for it. And in addition to go
11 back to some of the discussion we do not provide make whole
12 payments for units for self-dispatching either.

13 So we are taking away sort of the carrots, to go
14 back to that. And we think that that is really the way to
15 go because you're tying performance to when you actually
16 need it. Thank you.

17 MR. MCLAUGHLIN: Thanks Nicole. I want to circle
18 back around to Joseph. I might have missed your hand
19 earlier, so I apologize for that.

20 MR. DANIEL: No it's okay, and I realize we're
21 short on time, so I'll keep my response as brief as
22 possible. But it ties into sort of the theme that we've
23 been talking about with the carrots and sticks. And one of
24 the things that keeps me up at night is that if you know as
25 has been mentioned by a couple of the other panelists, and

1 it also says the same thing.

2 If you have a group of power plant operators of
3 the vertically integrated utilities not responding to the
4 current suite of carrots and sticks, then I'm not entirely
5 convinced that changing the carrots and sticks are going to
6 necessarily precipitate the changes that you want. Take the
7 multi-day commitment practice that SPP is considering.

8 Well most of the coal plants I'm aware of that
9 self-commit in SPP -- and I'm certainly not aware of all of
10 them, but what they use for their commitment practice is a 7
11 to 10 day outlook of prices. And so if you know if they get
12 you know a 2 day outlook through the market versus their own
13 internal 7 to 10 day outlook, well they're still going to
14 self-commit at the same levels that they have been because
15 their window for commitment is 7 to 10 days and not two or
16 even three.

17 So that's where I you know if that doesn't work,
18 we'll commit to mission two. Well actually information and
19 education can be a huge factor in helping precipitate
20 change. You know and I'll take some ownership to some of
21 the confusion of self-scheduling and self-commitment within
22 my world because first off I wrote about this issue was five
23 or six years ago, and I used the two terms interchangeably
24 and was very quickly corrected, and I appreciate that.

25 But it was about six years ago and SPP's

1 self-commitment practices, and almost immediately afterwards
2 state regulators would come up to me and say oh, well they
3 never heard about this issue before. This wasn't on their
4 radar. But when I talked to people at SPP, or the SPP
5 market monitor, or people at FERC, they were all very much
6 aware of this issue, and it was just never getting out into
7 the public. It was never getting into the Commissioner's
8 hands.

9 It's really engaging with the public which
10 hopefully the offers of participating will help to, and
11 engaging with state regulators through venues like you know
12 what the Commission is doing with transmission, with the
13 joint task force, but doing similar types of engagements
14 directly with Commissions to say you know you can't
15 necessarily report all of this data publicly because there
16 is a lot of confidential information.

17 But a way of saying all right well you know we
18 can't help but notice that you know the distribution of PMIN
19 for coal units is really clustered around 30 to 50 percent,
20 but there's a whole bunch owned by one utility that's at 70
21 percent. Why are they outliers?

22 Are their boilers some how of a unique vintage
23 that they have to operate differently, or is there some
24 other underlying factor that we can get at, and by
25 publishing this data in a way that respects confidentiality

1 obviously, you know, there's a certain level of shaming them
2 and praising others for those who operate the most
3 flexibility, or who are operating the least flexibility.

4 And I think pursuing or exploring those options
5 through technical conferences, through direct engagement
6 with the states is a really powerful tool that I hope the
7 Commission avails itself of.

8 MS. NICHOLSON: Thank you very much Joe. I think
9 we have got to our final question from the agenda there that
10 we have to get to. I'd like to check in with our Chairman
11 and Commissioners and see if you have any final questions
12 for the panel?

13 Okay. I think you're on mute, or I can't hear
14 you Mr. Chairman. I actually can't. If you type your
15 question in the chat we can ask her, sorry we can't hear
16 you. Sorry, we'll address your audio issue later Mr.
17 Chairman. But I want to -- I think we'll go ahead and close
18 this panel. I really appreciate on behalf of my colleagues
19 and the Commission here, we really appreciate the panelists
20 joining, and of course the Chairman and Commissioners.

21 We've heard a lot of really important information
22 about flexibility and I think we're learning just how
23 difficult it is to operate ISO/RTO markets. We have
24 different regulatory structures, different costs, fuel
25 supply arrangements, a lot of resource capabilities that

1 they have to be accommodated in these offer rules, so we
2 really appreciate your expertise to make sure we understand
3 the full breadth of complexity of the problems and proposed
4 solutions.

5 We're going to go ahead and close this panel out.
6 The next panel will start at 11:15 and it's called
7 Maximizing the Operational Flexibility Available from New
8 and Emerging Resource Types, so again to the group thank you
9 very much for joining all of our panelists and Chairman and
10 Commissioners, and we hope to see you back at 11:15. And
11 Capitol Connection we can go ahead and put on the hold
12 slide.

13 (Break 10:50 a.m. - 11:15 a.m.)

14 Panel 2: Maximizing the Operational Flexibility Available
15 from New and Emerging Resource Types

16 MR. SISKIND: Hello everyone and welcome back.
17 Thanks to our first panel for an interesting and informative
18 discussion. Time to start the second panel today, which
19 focuses on maximizing the operational flexibility available
20 from new and emerging resource types. My name is Aaron
21 Siskind, and I work in FERC's Office of Energy Policy and
22 Innovation.

23 I'm joined by my colleague Robert Fares with the
24 Office of Energy Market Regulation. Panel 2 will run
25 through approximately 12:30, and will focus on whether

1 current RTO/ISO energy and ancillary service market rules
2 present barriers to relatively new and emerging resources
3 types, and if so, how market rules could be changed to allow
4 these resources to offer in their full capabilities to the
5 market, since permitting all resources including new
6 resource types to offer in a manner that maximizes the
7 operational flexibility available to RTO/ISO operators to
8 better manage changing system needs.

9 I would also like to remind all participants to
10 refrain from discussing the specific details of the pending
11 contested proceedings listed on the supplemental notices
12 issued on October 1 and October 7, 2021, and to refrain from
13 any discussion of other pending contested proceedings.

14 If anyone engages in these kinds of discussions
15 my colleague Adam Eldean from Office of General Counsel will
16 interrupt the discussion to ask the speaker to avoid that
17 topic. Thank you to our panelists for joining us.

18 To our panelists, Chairman, and Commissioners,
19 please use the hand raise button if you'd like to ask a
20 question or respond to another panelist. The first question
21 is addressed to all panelists. I will call on each panelist
22 in turn to give their response. I will ask the panelists
23 limit their initial response to no longer than five minutes.

24 After all panelists have spoken we will give
25 panelists a chance to respond to whatever has been said.

1 Our first question -- do existing RTO/ISO energy and
2 ancillary service market rules, practices, or procedures
3 prevent or otherwise obstruct relatively new and emerging
4 resource types such as variable resources, hybrid resources
5 and energy storage from fully participating in RTO/ISO
6 markets and offering the operational flexibility they are
7 capable of providing from a technical standpoint.

8 Our first panelist is Betsy Beck from Enel North
9 America. Please go ahead Betsy.

10 MS. BECK: Thank you Aaron and good morning FERC
11 Commissioners and staff. Thank you very much for the
12 opportunity to participate in today's technical conference
13 on energy and ancillary services. As I mentioned I'm Betsy
14 Beck, and I'm the Director of Regulatory Affairs for the
15 Central and Western U.S. for Enel North America.

16 Enel is a leading developer, owner and operator
17 of renewable energy plants in the United States with over 6
18 and 1/2 gigawatts of wind, solar, geothermal and battery
19 storage currently in operation, and several gigawatts
20 currently under construction.

21 We also are one of the largest providers of
22 demand response in the country, and also have emerging
23 distributed energy resources, so we bring many different
24 perspectives to this discussion.

25 In general we believe that existing energy and

1 ancillary service market rules on paper do not limit
2 participation of new emerging resource types like solar and
3 battery storage. That said, existing energy and ancillary
4 service markets have historically been designed around
5 system needs and operating characteristics stemming from
6 conventional resources.

7 With our rapidly evolving energy grid there is a
8 need to re-evaluate certain market processes and procedures
9 to ensure that they are enabling robust participation of new
10 and flexible resources and sending efficient price signals.

11 We do believe, and our experience has shown that
12 by and large energy and ancillary service markets do not
13 explicitly limit the participation of specific resource
14 types. Order 841 and other efforts in the past several
15 years have led to a close examination of tariff language,
16 and have mostly eliminated discriminatory language barring
17 the participation of certain resource types.

18 One exception to this limitation is on the
19 dispatchable, variable, energy resources, and their ability
20 to participate in the regulation market in SPP. We're sure
21 there are still a handful of other markets that bar
22 participation, but by and large these issues have been
23 addressed in recent years.

24 When it comes to the question of what is limiting
25 flexibility and the participation of new and emerging

1 resources in today's markets, I will echo and expand upon
2 some of what was said by Mr. Daniel and Mr. Knight in the
3 prior panel. Today's markets were built and designed around
4 conventional resources who have traditionally not been
5 highly flexible power plants.

6 This historical bias towards the characteristics
7 of conventional resources has direct and indirect
8 consequences. As has been previously discussed, practices
9 like self-commitment and self-scheduling of resources limit
10 the ability of operators to dispatch down, or turn off those
11 resources, while as Mr. Daniel noted, renewable resources
12 like wind and solar can always be dispatched down to zero.

13 Further, participation of these non-price
14 responsive responses in the market mute and distort the
15 price signals sent to the rest of the market. Also,
16 parameters like PMIN and minimum run times are other
17 elements of energy market dispatch protocols that need to be
18 examined to evaluate their bias towards conventional
19 resources, and the impact that it's having on efficient
20 pricing and flexibility.

21 While these parameters were once necessary to run
22 the market and solve for blocky resources, but continuing to
23 solve around these characteristics we ultimately compensate
24 resources for their costs of inflexibility. Ultimately this
25 is muting price signals for resources like battery energy

1 storage, and hybrid resources that can provide near infinite
2 flexibility.

3 Additional elements of energy and ancillary
4 service algorithms similarly limit the full flexibility of
5 new resources to respond quickly, and as quickly and
6 precisely as they are technically capable. One great
7 example of this that was also previously mentioned is ramp
8 rate limitation.

9 In SPP where the bulk of Enel's wind fleet
10 operates, for dispatchable variable energy resources or
11 DVER's more than 200 megawatts, ramp rates are limited to 8
12 megawatts per minute. And for units that are larger than
13 200 megawatts they're limited to 4 percent of their capacity
14 per minute.

15 So as Mr. Knight pointed out earlier these fast
16 responding resources are capable of moving quickly in
17 response to dispatch signals, but are limited in their
18 ability to do so, and are paid the same energy price as all
19 other resources.

20 And I think it's also important to point out that
21 this ramp limitation in SPP persists, even after all
22 non-dispatchable variable energy resources in SPP have been
23 required to invest hundreds of thousands of dollars to
24 retrofit plans to comply with new requirements to be fully
25 dispatchable, a change which we did support.

1 Lastly, as it relates to the flexibility
2 delivered by ancillary services, I want to echo some of the
3 sentiments we have heard today that we need to increase the
4 quantity of ancillary services procured. We must recognize
5 that the single largest contingency may not always be a
6 large nuclear or coal unit tripping, so potentially a change
7 in the jet stream affecting wind production, or an
8 unexpected storm impacting solar production.

9 For Enel ancillary service market fundamentals,
10 the quantity procured, and the price paid for them are some
11 of the key factors we evaluate when it comes to investing in
12 battery energy storage. And I think it's important to note
13 that ERCOT is currently sending very strong investment
14 signals through its ancillary service markets for investment
15 in battery energy storage.

16 So in summary we don't believe that market rules
17 per se are limiting flexible resource participation, but
18 existing and legacy market design elements are having direct
19 and indirect impacts on market dispatch, pricing and
20 compensation that are muting investment signals for new
21 flexible resources. Thank you and I look forward to our
22 discussion.

23 MR. SISKIND: Thank you Betsey for those
24 comments. Our next panelist is Jason Burwen from the Energy
25 Storage Association. Please go ahead Jason.

1 MR. BURWEN: Great, thank you so much. Thank you
2 to the staff and certainly to Chairman Glick and
3 Commissioner Clements who is I believe attending this
4 technical conference, for putting this together. This is a
5 very important topic, certainly for the energy storage
6 industry. I'm happy to speak to these topics from the
7 perspective of the energy storage industry.

8 Thankfully, Betsy did a great job framing out the
9 problem here, so I don't have to repeat to you the
10 importance of how we need to avoid unduly discriminatory
11 treatment by reducing our reliance on these accommodations
12 for inflexibility that are built into market rules and
13 policies, particularly because we have other commercial
14 technologies, like for example current day battery storage
15 that demonstrates such accommodations are recently not
16 necessary.

17 And in addition to, as Betsy noted, revealing the
18 presently embedded costs that inflexibility pose to system
19 operations and allowing us to have the more robust price
20 formation that reflects the value of flexibility. It's also
21 about increasing operational efficiency and reducing
22 reliance on out of market actions to be able to provide
23 flexibility.

24 So from an energy resource perspective, we don't
25 have a lot of experience with significant levels of storage

1 in energy markets, not only just in megawatts to avoid, but
2 also the track record in energy in multiple ancillary
3 services, along with storage providing frequency regulation.

4 So we are still learning as we go as these new
5 technologies begin operating at scale in energy and multiple
6 ancillary services markets. And suffice that markets have
7 been showing they can lean on assets like storage which has
8 no start times or re-implementations or PMIN.

9 And I expect we'll learn plenty over the next
10 couple of years beyond just the topics in discussion today.
11 But one of the first things we're learning is that flexible
12 storage is running into market processes that are not
13 providing commensurate operator control because again they
14 weren't designed with that thought in mind.

15 Systems operators love a resource that's always
16 online and bidirectional that ramps instantly, quickly, but
17 this is flexibility might not be used appropriately due to
18 the simplifications or combinations in the market rules and
19 operating practices. So the California ISO we're sort of
20 seeing a first window into this storage is being reflected
21 in the software as infinitely flexible. That's good.
22 That's what Order 841 was intended to accomplish.

23 But storage assets are getting jerked around
24 significantly as you move from hour ahead to 15 minute
25 ahead, 5 minute ahead optimization, and then dispatch due to

1 that flexibility. And that's incredible. The ISO has an
2 asset that can turn on a dime and move around significantly
3 as you approach a given interval, but asset managers,
4 they're locked into bid parameters two hours in advance of
5 the interval.

6 So all that flipping around doesn't actually
7 includes significant updates to a state of charge or
8 operational status of the storage. Price preferences and
9 storage plant operator, even as the lost opportunity cost is
10 swinging out, swinging around a whole bunch during those
11 different optimizations, so that disconnect between slower
12 bidding rules and fast and frequent change in dispatch or
13 potential dispatch instructions can impose significant costs
14 on storage units with uneconomical awards.

15 We're seeing a lot of out of merit dispatch of
16 energy storage in Cal ISO, maybe 10 to 20 percent of the
17 intervals might be including that, and that seems to suggest
18 some trouble with forming price signals to produce the
19 desired behavior within market. Certainly one potential
20 solution that I think we can take from this, is that asset
21 managers discretions to match a flexible capability of the
22 asset, so a helpful solution might be allowing storage
23 asset managers the ability to more readily respond to real
24 time pricing and dispatch volatility, such as allowing them
25 to modify bid parameters much more close up to the SCED

1 interval.

2 I note this is apparently the planned new
3 practice for storage in ERCOT. And this can certainly allow
4 for better price formation that reflects asset options and
5 preferences which helps us deal with the second issue of out
6 of market actions. We are seeing out of market actions
7 affecting storage flexibility. ISO has a requirement for
8 storage used for RA to meet a known minimum state of charge.

9 We're seeing pricing anomalies leading from time
10 to time to exceptional dispatch decisions that effectively
11 now are keeping storage from dispatching though in
12 interactions with that requirement. Those periods where
13 storage is being forced to hold its state of charge despite
14 pricing rules that indicate otherwise are first a lost
15 opportunity cost that is not being compensated, but also at
16 the same time those units are removed from the market
17 temporarily affecting price formation.

18 This is in contrast to the thermal generators
19 that are regularly kept burning fuel and spinning because
20 their start up lead times might otherwise make them
21 unavailable at future intervals if they be needed. Those
22 generators are paid to remain at PMIN value, those actions
23 are therefore compensated even though when they're not
24 necessarily benefitting the market during that pricing
25 period.

1 More generally, those thermal generators are
2 otherwise free to participate in markets, so I think we need
3 to be reducing reliance on out of market actions to produce
4 flexibility. That reduces the price signal for flexibility
5 that might otherwise be available for other assets, and it's
6 really inappropriate for out of market actions from one
7 resource type to be accommodating the constraints and then
8 paying them for it, whereas for another resource types those
9 assets are penalized for their constraints, and are not paid
10 for it.

11 We need to be doing all we can to reveal price
12 signals for flexibility and not securing them. So on this
13 count we should be minimizing the distortions of out of
14 market units on price formation. Then perhaps more
15 radically in keeping with an idea for a performance based
16 future where resources make single part offers because they
17 no longer need to have start up plans, ramp rate
18 limitations.

19 We could see a world where we're eliminating
20 those kinds of make whole payments based on inflexibility
21 and letting the generators actually go procure flexibility
22 that they need, rather than have the system operator
23 granting it administratively.

24 Certainly I think there's a lot more to say also
25 about the nature of how ancillary services markets could be

1 evolved into a wider set of flexibility reserves that you
2 can cover at least at some part in the earlier parts of
3 this, in the previous technical conference.

4 I think a key thing that we would raise here is that when
5 you have current day ancillary services valued on the lost
6 opportunity cost for providing energy, but in a higher
7 renewables world, you can have energy prices presumably low
8 or zero for significant stretches, that poses problems for
9 valuing flexibility, especially if that named referent is
10 energy pricing.

11 So how we value flexibility if it's an ancillary
12 service, or a flexibility reserves construct, they need to
13 be revisited and kind of like derived. I know that we've
14 obviously had a discussion of ORDC's in these technical
15 conferences before as one way that might look, but pay for
16 performance principles -- two of the previous notes I've
17 made about who bears and prevents the costs and benefits of
18 inflexibility and out of market actions, pay for performance
19 principles also point a way to ensure flexibility reserves
20 or ancillary services show up as needed.

21 And that can evolve from use only for system
22 emergencies to something continuously assessed in markets
23 where flexibility is needed, and they can be designed to not
24 be a cost to load, but rather a transfer between less
25 flexible and more flexible assets based on the performance

1 meeting the needs of the grid.

2 The grid of the future will need more flexible
3 fast starting resources, so we need to make sure that we
4 reflect the cost of a lack of performance to meeting that.
5 Anyway, I know I've gone a little long. I'll conclude just
6 by saying that my remarks today for the need for better
7 asset manager control of flexible resources, and avoiding
8 out of market actions that distort price formation, and
9 moving to a new conception of ancillary services as pay for
10 performance based flexibility reserves, these all point to
11 potential paths forward given the needs of the higher
12 renewable energy system, and the availability of flexible
13 storage technologies.

14 I am sure we can take a wide view of the many
15 different paths forward. And I'm just eager that the
16 Commission continue to ensure policy keeps up with
17 technology, rather than let the technology limitations of
18 the past constrain our future. Thank you.

19 MR. SISKIND: Thank you Jason. Our next speaker
20 is Mike DeSocio from New York ISO. Go ahead Michael.

21 MR. DESOCIO: Thank you Aaron. Good morning. We
22 very much appreciate the Commission for its focus on these
23 important issues, and thank you for the opportunity to be
24 part of today's conference.

25 The topics are front and center in New York, and

1 I'm looking forward to today's conversation. New York's
2 market design is structured to promote flexible resource
3 operation. From the beginning the NYISO set out to develop
4 the features and advancements to enable new technologies
5 like limited energy storage resources back in 2009.

6 It enabled those types of resources to provide
7 frequency regulation when they came to us and offered
8 discussion of their capabilities. And again in 2009 we
9 enabled wind non-dispatch where we allowed resources to
10 provide costs of dispatch and let the ISO consider those
11 costs when dispatching was to become vital in trying to
12 balance today's grid.

13 The structure is built to reward those that can
14 move quickly and follow dispatch instructions closely, and
15 be responsive to emerging grid needs. New York's energy and
16 ancillary service markets are open to all resources that can
17 meet minimum eligibility requirements. There is no
18 prohibition that prevents a resource existing new emerging
19 from participating.

20 However, sometimes the characteristics of new
21 resources require new functionality or dispatch constraints
22 to be modeled, and often this is referred to as a barrier.
23 In fact, wholesale markets were created to maximize consumer
24 surplus and ISO/RTOs were given great responsibility to
25 operate the grid as efficiently and as reliably as possible.

1 To do that, ISO/RTOs have information that is
2 critical to grid operations, and confidential market
3 information about each asset participating in the wholesale
4 market. It is true ISO/RTOs also make as much data
5 transparent as possible to improve market competition.

6 But ISO/RTOs also have confidential data of
7 costs, output levels, current response rates, and future
8 commitment of resources. This information asymmetry places
9 ISOs and RTOs in the best position to make decisions that
10 maximize consumer surplus for all customers. This can best
11 be achieved when an ISO/RTO has line of sight to schedule
12 and settle each resource, rather than aggregating these
13 resources and leaving optimization to the set of resources
14 through a market participant.

15 That said, aggregations are still important when
16 thinking about managing separate small resources, and the
17 ISO has created rules for such a structure through its DER
18 participation model. In response to feedback from the
19 stakeholders, NYISO continues to focus on improving its
20 market models, and minimizing any perceived barriers to
21 participate fully in its wholesale market.

22 For example, NYISO led the way with
23 implementation of a full energy storage model which was
24 released back in August of 2020. The NYISO is working
25 diligently on its FERC improved DER participation model, and

1 addressing the requirements presented by Order 2222. The
2 NYISO is on track to implement its FERC approved collocated
3 hybrid storage model by year end.

4 The NYISO also continues to work with its
5 stakeholders considering opportunities for aggregation model
6 for hybrid resources. And finally, the NYISO is working to
7 develop a model for new internal HVDC lines that are planned
8 to deliver clean energy into New York City.

9 These are just some of the improvements to New
10 York's market structure that is important to make sure all
11 resources can participate wholly. However, to facilitate
12 and be prepared for the clean energy transition in the grid
13 of the future, we need to think more broadly than
14 participation models.

15 As the fleet transitions to one that is largely
16 based on renewable resources, and energy or duration limited
17 resources. The ISO also needs to be thinking about how
18 their market structure is looking at capability, settlement
19 structures work together to ensure that the resources
20 continue to respond to grid needs and operator instructions.

21 The NYISO's grid and transition efforts are
22 critically focused on evolving its market structure, and
23 looks forward to working with the Commission and its
24 stakeholders to continue to build upon New York's
25 well-designed wholesale market structure. In addition, we

1 need to be thinking about opportunities where we can strive
2 to increase the ability for resources to submit additional
3 data to the ISO more frequently.

4 I think Jason said it very well. There is a need
5 to provide additional information more frequently, and the
6 ISO is working on that. In fact for its energy storage
7 model the ISO encourages that energy storage resources reach
8 out to the ISO and look for ways to make offers more
9 frequently in real time.

10 And this promotes improved efficiency and better
11 price formation. But we are transitioning. And we don't
12 have a grid where we dispatch based on renewables energy
13 storage, so in the meantime we still need to manage these
14 constraints such as PMINs and response rates to make sure we
15 keep the lights on as we transition.

16 All of these pieces and parts are important, and
17 the ISO continues to look forward to working with the
18 stakeholders and the Commission on improving its market
19 design. Thank you.

20 MR. SISKIND: Thank you Michael. Our next
21 panelist is Brian George from EPSA. Go ahead Brian.

22 MR. GEORGE: So good morning. Thanks Aaron.
23 Good morning to you and thank you to Chairman Glick and the
24 Commissioners and staff for inviting me to participate on
25 this important panel, and continuing the broader dialogue

1 around modernizing electricity market design.

2 As always my views today do not reflect those of
3 a particular EPSA member. As the trade association
4 representing America's competitive power suppliers, EPSA
5 believes that well-designed competitive electricity markets
6 should provide price signals based on well-defined
7 operational needs such that all qualified and capable
8 resources can compete to maintain the reliability at the
9 lowest cost.

10 EPSA members own and operate nearly 150,000
11 megawatts of generation capacity from all types of fuel
12 sources. Today our members are actively developing new
13 wind, solar and battery storage projects all around the
14 country. Our members experience in developing and operating
15 these resources can provide unique insight into how the
16 Commission can utilize competitive markets to maximize the
17 operational flexibility available from new and emerging
18 resources.

19 Efforts by the Commission to reduce barriers to
20 the participation of new and emerging resources such as
21 Order 2222 and 841 have helped ensure these resources can
22 compete in wholesale electricity markets. In particular,
23 the biddable parameters for energy storage resources
24 included in Order 841 was a good first step. However,
25 operational experience may highlight areas for additional

1 exploration and potential revision.

2 Importantly, the Commission should strive to
3 design markets based on well-defined operational needs where
4 all resources capable of providing the service have the
5 opportunity to do so. While the Commission must remain
6 vigilant for market rules that erect barriers for resource
7 participation. It should avoid designing markets around the
8 capabilities and limitations of particular resources.

9 The question for intermittent and use limited
10 resources is less about their physical capability to provide
11 certain services, and more about providing the right
12 incentives. In many cases the potential to provide
13 essential reliability services, traditional ancillary
14 services and flexibility already exists.

15 As such, unlocking the full potential of
16 intermittent and use limited resources will require
17 well-designed markets that align individual, commercial
18 interest with system operational needs. And I think Jason
19 put it well when he was describing it, and I think we would
20 agree.

21 And you know for example and in general, system
22 operators who optimize large amounts of resources across
23 geographically diverse balancing areas have more information
24 about system-wide operational and reliability needs than do
25 individual asset operators.

1 Conversely, individual asset operators who
2 optimize their resource from a commercial perspective, may
3 not have full insight into the broader needs of the system
4 at any given point. Due to this information asymmetry,
5 system operators may take action to posture use limited
6 resources based on an operator's expectation of when that
7 asset will be most valuable to meet system needs.

8 For use limited resources like storage, this can
9 result in a mismatch whereby assets are required to maintain
10 a day ahead schedule for a period that does not align with
11 its greater arbitrage opportunity in real time, particularly
12 during tight conditions.

13 While this example highlights some optimization
14 challenges around use limited resources which will be
15 addressed largely in the next panel, it also highlights the
16 importance of allowing price signals to accurately reflect
17 system operational needs. We should focus on getting as
18 much information into the price signal so that asset owners
19 can make the best commercial decisions that also reflect the
20 best reliability outcomes.

21 Going forward successful integration of higher
22 levels of intermittent resources require maximizing
23 operational flexibility. Operational needs such as
24 flexibility are exacerbated by increasing levels of
25 intermittent and use limited resources. This effect will

1 become more prominent as percentages of intermittent and use
2 limited resources increase.

3 To effectively integrate more, we must maximize
4 the operational flexibility of use limited and traditional
5 resources to offset the variability and uncertainty on the
6 system. More broadly, as the economy decarbonizes, the
7 power sector will be responsible for delivering more
8 electrons without compromising reliability, while the power
9 sector itself is simultaneously transitioning to a lower
10 carbon generation mix.

11 This highlights the critical need to have
12 well-designed markets that align commercial interests and
13 operational needs so that we can maximize the full value
14 that all resources bring to the table. Thank you again for
15 the opportunity to participate on today's panel and I look
16 forward to the conversation.

17 MR. SISKIND: Thank you Brian. Our next speaker
18 is Dr. Walter Graf, PJM, please go ahead Walter.

19 DR. GRAF: Thank you Aaron. Thank you Mr.
20 Chairman, Commissioners and to FERC staff for organizing the
21 panel today. I think it's a well-organized panel to dig a
22 little deeper into a range of important topics related to
23 flexibility, and I do appreciate the opportunity to
24 represent PJM here today.

25 My name is Walter Graf, I'm the Senior Director

1 of Economics at PJM Interconnection. So I'm going to kick
2 off today with a bit of a devil's advocate position.
3 Perhaps there will be something here that strikes a nerve,
4 or gets a response from other panelists and spurs a
5 discussion with my fellow panelists.

6 I'm very much looking forward to learning from
7 the other panelists here today. So at the risk of being
8 labeled anti-flexibility, my thesis is that the objective
9 should not be to maximize operational flexibility, but to
10 incentivize the efficient level of operational flexibility
11 across all resources given the relative cost of providing
12 that flexibility, and given the needs of the system for that
13 flexibility.

14 So PJM happens to be behind some other areas in
15 the country with respect to penetration of emerging and
16 intermittent technologies, so we have the benefit of having
17 a little more time to address any market design deficiencies
18 before they become problems in terms of what does and
19 doesn't work, in other ISOs and RTOs across the country as
20 they face higher penetration of renewables before we do.

21 So I won't spend much time on here as it best
22 fits under the topics covered under Panel 1, but I would
23 point listeners to take a look at pre-conference comments
24 that I filed to discuss the trade-offs between incentives
25 and requirements for flexibility. The high level takeaway

1 is that incentives for flexibility are a natural result of
2 well-functioning energy and ancillary service market that
3 reflect the balance of supply and demand throughout the
4 day.

5 And operating flexibly, and investing in the
6 capability to operate flexibility has real costs, and
7 echoing some of the comments Mr. DeSocio made early in the
8 panel, PJM continues to believe in the ability of the
9 competitive markets to signal value through prices, and the
10 ability of the competitive market participants to best make
11 those trade-offs.

12 So it is our role as market designers to ensure
13 that the market best reflects value and incentives, and that
14 the incentives facing resources are aligned with what we'd
15 like them to do. Dr. Tyler, the deputy market monitor for
16 PJM in the last panel pointed out a number of ways that she
17 and the IMM believes that there are deficiencies that could
18 be corrected in the market to better reflect the value of
19 flexibility, to better incentivize flexibility, and to
20 penalize failures to perform.

21 I may agree with some, disagree with others, but
22 here I do think there's a point that fundamental
23 disagreement from the perspective that we must maximize
24 flexibility. Trying to use the capacity market, or any
25 other means necessary to enforce an obligation for maximum

1 flexibility will ultimately leave efficiency on the table,
2 and it will leave flexibility on the table.

3 As Mr. Knight pointed out in the last panel
4 enforcing minimum standards means that we're going to get a
5 little bit of performance, performance at the standard
6 rather than unlocking all the flexibility that's available
7 from each resource at the right price.

8 And so agreeing with Doctor Bouchez from the last
9 panel, incentivizing flexibility and ensuring that we have
10 sufficient flexibility when we need it is the role of the
11 energy and ancillary service markets. We certainly see at
12 least a few ways that we could improve these market rules
13 and procedures to enable new and emerging resources finally
14 getting right at answering the initial question.

15 In general, PJM believes that operational needs
16 should guide the design of needed services, and should not
17 be compromised to accommodate resources that are unable to
18 comply. That said, there are cases where value can be
19 unlocked or enabled without compromising these operational
20 requirements. So one example that PJM is considering today
21 is the potential to redefine certain ancillary service
22 products as separate up and down products, which PJM does
23 not have today.

24 This could have at least two distinct benefits.
25 First, it allows the demand for those products to be

1 differentiated if that's warranted by system conditions, so
2 it might not be necessary to procure as much up ramp as down
3 ramp, or vice versa under certain conditions.

4 And second, it allows different resources to
5 supply different parts of what is today a single product, if
6 and when that's a more efficient use of resource
7 capabilities. So for example intermittent resources
8 operating at their full available capability can offer fast
9 responding down ramp capability without curtailing first to
10 a lower level of operation, and then at the same time
11 thermal resources dispatched to their economic minimum could
12 offer fast responding up ramp capability.

13 Together these resources can provide the total
14 needed ancillary services at a lower cost than would be
15 possible under a single product definition. So this, and
16 maybe there are other examples as well, we think that there
17 are ways which the current market design does limit
18 flexibility and can be improved.

19 But overall, we think that the definition of the
20 various ancillary service products should be informed by
21 both system requirements and resource capabilities. And as
22 new and emerging resources become more widespread, it will
23 become important to continue to evolve product definitions.
24 We think that by respecting both we can efficiently enable
25 the flexibility inherent in this technology without

1 compromising the operational rules. Thank you for the
2 opportunity and I look forward to the discussion.

3 MR. SISKIND: Thank you Walter. We appreciate
4 that. And our last panelist is Dr. Nikita Singhal from
5 EPRI. Please go ahead Nikita.

6 DR. SINGHAL: Thank you Chairman, Commissioners,
7 the Commission and the Commission staff for inviting me to
8 speak today and providing me with the opportunity to discuss
9 on these issues that we're faced with. RTO and ISO market
10 rules, practices and procedures are generally designed to
11 enable and increase resource participation in ancillary
12 service markets to enhance competition.

13 The bulk system operators generally their goal is
14 to not discrimination against any technology, or resource,
15 but they require that certain characteristics and
16 capabilities of all service providers be met. The market
17 rules should be technology agnostic in that any of these
18 resources will need to satisfy existing performance
19 requirements to qualify for service provisions.

20 Restrictions on participation for a specific
21 service may be applicable based on product specific resource
22 attributes. A failure to comply with well established
23 performance requirements when such performance requirement
24 are an eligibility criteria typically employed to qualify a
25 resource's participation in the provision of ancillary

1 services. And it is often based on a stability or
2 reliability standard requirement. However it is important
3 to ensure that such restrictions are based on attributes and
4 resource performance that are founded on technically sound
5 principles.

6 It is also important to regularly allow new and
7 emerging technology to provide their performance and
8 demonstrate that even to participate and meet these
9 requirements through testing and certification. For
10 instance, some ISOs do have certificates, and some emerging
11 technologies that potentially consist of mixed resource
12 types, restrictions in participation in a specific service
13 may be applicable based on the technical capabilities,
14 attributes, and performance of the most limiting resources
15 in the technology mix.

16 For example, let's take the case of hybrid
17 resources. These hybrid resources consist of storage and a
18 variable resource component too. And if they were to elect
19 to participate in the market using a single integrated
20 resource model, the restrictions of participating in service
21 may be based on technical capabilities, attributes and
22 performance of the most limiting resource.

23 This limiting resource may be the storage
24 component, or the variable energy component. In other
25 words, eligible criteria may be dependent upon what the

1 individual resources that constitute this hybrid resource
2 mix are qualified to provide and able to provide. If the
3 hybrid resource were to elect to participate as two separate
4 independent resources two separate independent resources
5 model, then each constituent technology will need to satisfy
6 the existing energy eligibility requirements.

7 The variable energy resources may need to be
8 curtailed to provide most ancillary services. Storage must
9 have sufficient energy to provide based on the state of
10 charge to provide most of these ancillary services.

11 Now another form of operation flexibility that
12 was offered to these emerging technologies in the context of
13 storage was specifically mentioned in FERC Order 841 which
14 had to do with state of charge management. According to one
15 of the requirements storage was allowed to self manage their
16 state of charge, this is a very important operational
17 flexibility that was provided to these emerging technology
18 resources.

19 There was discussion by the prior panelists about
20 the ability to update the offers closer to real-time, now
21 the challenge there is that offers are allowed to be updated
22 to closer to real time, but there is a discussion on whether
23 or not there is enough time to mitigate those offers.
24 Specifically, these offers that are updated closer to the
25 real-time market window, about 60 to about 60 to 75 minutes,

1 so if these offers are allowed to be updated closer to real
2 time, will there be enough time to mitigate these offers?

3 That's where the questions are when it comes to
4 updating offers as well. Thank you.

5 MR. SISKIND: Thank you Nikita. Before we go to
6 the panelists responses, we first wanted to check and see if
7 the Chairman had anything to say, and if not we'll move on
8 to the Commissioners. Mr. Chairman?

9 CHAIRMAN GLICK: Thanks Aaron. Just quick I
10 wanted to pick-up on Nikita's comment, and I wanted to ask
11 maybe Jason, because I know we have limited time here, but
12 maybe if you and maybe Betsy could respond. I'm just
13 curious on the hybrid, I'll mention the hybrid resources.
14 I'm curious about what changes you think might need to be
15 made in terms of market rules given the benefits that the
16 hybrid resource might be able to provide in terms of
17 flexibility.

18 What changes do you think might be necessary to
19 be made in the RTO/ISO market rules to further encourage the
20 ability of those technologies to participate in ancillary
21 services and energy markets for that matter?

22 MR. BURWEN: Thank you.

23 MS. SINGHAL: Thank you Commissioner. I'm sorry
24 go ahead.

25 MR. BURWEN: Go ahead Nikita I think the question

1 was for your first.

2 MS. SINGHAL: Okay. I was just going to say that
3 the one change that may help us to allow these technologies
4 to participate using multiple participation options. For
5 instance, the one hour option which is being widely
6 discussed in the industry, that allows for significant
7 operation flexibility from the asset owner's perspective.

8 Whereas on the other hand the dual independent
9 resource options allows for the unique characteristics of
10 each technology that constitutes the hybrid resources to be
11 monitored more accurately as well. So just having the
12 multiple participation options itself maybe a good
13 flexibility to have.

14 CHAIRMAN GLICK: Thank you.

15 MR. BURWEN: And then you know building on that I
16 think that as Nikita noted that some of the concept of state
17 of charge management being characterized in Order 841, that
18 principal of sort of self-management I think carries through
19 here on the hybrid resource side as well. You know I think
20 where we are in some ways is that the asset manager has much
21 granular visibility and control over its hybrid resources.

22 And that perhaps in a theoretical future you can
23 have a market design that effectively optimizes those assets
24 such that a hybrid resource operator would be satisfied that
25 the way that the resource is going to be used or operated is

1 going to be in line with what an operator decision might be
2 in light of system needs and how do they get communicated.

3 But I don't think a lot of operators are there
4 today, and that's probably part of the challenge here right
5 is that the way in which you look at simply the day ahead
6 versus the real time for these assets would be very
7 different, and similarly you know the extent to which those
8 components of the hybrid can be operated in an optimal
9 fashion to meet needs seems to be from our members, for
10 further clarity, limited in terms of what they are allowed
11 to offer given the way that the market may choose to
12 optimize those resources in its software.

13 And so I think that it's really a question of
14 potentially where we are in the path of a transition to the
15 higher computational granularity and complexity that I think
16 is being implied by a number of different pieces of creating
17 more flexible operations.

18 And so that at least in the interim if not for
19 the whole long haul is probably a key principle to
20 underscore for how hybrids can be enabled to provide their
21 full flexibility.

22 MS. BECK: Yeah and I'll just jump in and agree
23 certainly with both of the answers already to this question.
24 We think that having multiple participation options is
25 really important, whether that hybrid resource wants to

1 participate in capacity, energy, or ancillary service
2 markets as separate unique resources, or as a hybrid
3 resource, having that option for us is really important.

4 I think it depends on the market what that
5 resource is targeting, whether or not batteries in that
6 hybrid resource is really being developed at the capacity
7 resource, if the battery is really trying to target
8 ancillary service products, depending on the region, and the
9 market pricing incentives you may want to participate under
10 different participation models and think that
11 flexibility is important.

12 And another reality that we think about in how we
13 participate in the markets is sort of the contracting and
14 investment reality, the way that we contract and build
15 renewables and variable resources today is still somewhat
16 different than battery storage resources, and so sometimes
17 there are sort of outside of the market limitations and
18 realities of how we finance and contract these resources
19 that impact the way we want to participate in the market
20 with them as well, so we think it's important to have the
21 flexibility for that reason too.

22 MR. SISKIND: Thank you. Did anyone else want to
23 weigh in on this, or Mr. Chairman did you have any
24 follow-ups?

25 CHAIRMAN GLICK: I appreciate the responses, but

1 no I don't have any follow-ups, thanks.

2 MR. SISKIND: Okay. Commissioner Clements did
3 you have any questions?

4 COMMISSIONER CLEMENTS: No. I'm fine thanks
5 Aaron.

6 MR. SISKIND: Okay. Thank you. And just a real
7 quick follow-up to this because I think we have kind of gone
8 there already, if anyone else did want to respond to one of
9 our next questions was going to be what market reforms could
10 be adopted to ensure that these new and emerging resource
11 types are able to offer their full operational capabilities
12 into RTO/ISO energy and ancillary service markets.

13 If anyone wanted to say anything else here please
14 now is the time, otherwise we will move on to our next
15 question thank you. I guess you're up Robert.

16 MR. FARES: I do see a hand from Brian, actually
17 Brian if you want to weigh in quickly.

18 MR. GEORGE: Yeah I just wanted to weigh in real
19 quick, and I think this maybe goes back somewhat to Walter's
20 point you know around maybe not necessarily maximizing the
21 amount of flexibility, but incenting the most efficient
22 flexibility on the system.

23 And you know I think that boils down to ensuring
24 that asset owners know what capability is most valuable at a
25 given time. And you know this points back a lot to some of

1 the ORDC curve discussions right from the last panel. And
2 so I think you know just making sure that those asset owners
3 see when there's a system that's most valuable to the system
4 I think will go a long way in incentivizing that most
5 efficient flexibility.

6 And then the second point that I wanted to make,
7 and this kind of follows on some of Jason's points you know
8 around bidding parameters, I mean I think one thing that
9 we're seeing right is that you know these certain things
10 change depending on like state of charge. For example, ramp
11 rates may be different based on where you know particular
12 resources with respect towards stated charge.

13 So how do we think about allowing asset owners to
14 reflect those changes in a way that does allow for effective
15 market monitoring and mitigation, but ultimately conveys to
16 the system operator that they do have this ability to
17 provide that need to the system, so thank you.

18 MR. FARES: Thanks. And I think with that I will
19 go ahead and move on to the next question that we want to
20 cover. Hi everybody. I'm Robert Fares from the
21 Commission's Office of Energy Market Regulation. I wanted
22 to follow-up on a few points that were brought up in opening
23 statements by Betsy and Walter and a few others.

24 And you know both of you discussed the fact that
25 variable resources can be dispatchable and provide you know

1 different services depending on where their dispatch point
2 relative to their maximum potential energy output.

3 And you know I think your discussion is kind of
4 interesting in light of the fact that you know folks often
5 refer to variable energy resources as non-dispatchable
6 resources, or inflexible resources when you know I think the
7 reality is that you know based on your comments that they
8 are capable of being dispatchable, but I wanted to drill in
9 on that a little bit.

10 Could you just speak to kind of to what extent
11 variable energy resources are capable of being dispatched up
12 versus dispatched down, how this might kind of vary based on
13 their particular operating situation, and try and
14 distinguish them from sort of dispatchability that's
15 provided by a conventional resource? And we'll start with
16 Walter. Go ahead Walter.

17 DR. GRAF: Yeah thanks for the question. I'll
18 kick it off, and then interested to hear other's thoughts.
19 So I'm going to tell you these resources absolutely are
20 dispatchable. In PJM we've been working on enabling
21 intermittent and variable energy resources to respond to
22 dispatch instructions. We're not 100 percent there yet, but
23 we're working on it.

24 Just a few examples. So we leveraged SCED,
25 security constrained economic dispatch, which has a two hour

1 look-ahead period to dispatch wind. The objective here was
2 to improve congestion control not provisionally to provide
3 flexibility, but I think there are opportunities to enhance
4 it to better meet that challenge.

5 This market design change introduced --
6 specifically introduced a new notification to wind units to
7 indicate that they should explicitly follow PJM's dispatch
8 to reduce its output, so they absolutely are dispatchable.

9 For solar there are more opportunities to improve
10 dispatch logic in the SCED, I think we're not quite as far
11 as we are there with wind. But for both solar and wind
12 resources the objective is to enable the technical
13 capability to be dispatchable, really to have that be
14 available to the system. As to the distinction between
15 being dispatched down and being curtailed, I think it's
16 mostly semantics, but we understand how we have used those
17 in PJM.

18 I think we tend to use curtailed when the
19 operator picks up the phone and asks a resource to turn
20 down, and dispatch when it's an outcome of the various
21 economic dispatch engines that run at different timeframes.
22 Of course to the extent that there is value to enabling that
23 flexibility I think there absolutely is, we'd love to move
24 away from manual operator actions to enable that flexibility
25 within the economic dispatch engine, and we are moving in

1 that direction in PJM.

2 MR. FARES: Thanks Walter. Next let's go to Mike
3 DeSocio.

4 MR. DESOCIO: Thanks Robert. A good question and
5 similar to what Walter was mentioning, New York has had
6 renewables or variable resources on dispatch for quite some
7 time. And we did that early on to make sure that new
8 resources understood what we were looking for when they
9 integrated and interconnected onto the system.

10 The way New York's model works is we take the
11 approach that we're going to do our best to accommodate the
12 wind or solar forecast output of the resource, and to the
13 extent that resource is providing and maximizing its energy
14 output, our market design is really designed around
15 achieving that, which makes it difficult when you think
16 about combining an intermittent resource with storage,
17 because now you end up with some dichotomy on maximizing
18 renewable output versus doing something different.

19 We use the term curtail because generally
20 speaking there isn't an incentive for the renewable resource
21 to hold back its capability so it could be dispatched up at
22 a later interval, so we're really focusing on starting from
23 a point of having that resource being at its maximum output,
24 and then curtailing it, or dispatching it down to control
25 the constraints. And we do that through economics. We

1 aren't picking and choosing which resources to do that to
2 schedule.

3 We look at security, constrained economic
4 dispatch to make that choice based on its offer. And this
5 is where it becomes very important that we think broader
6 than just the competitive wholesale markets because the out
7 of market payments to these resources become very important
8 in considering whether there is really optionality for that
9 resource.

10 When you think about having a resource hold back
11 its output, it is now going to forego other payments, maybe
12 a rec payment, maybe an ITC credit. And so, in order to do
13 that, that means the wholesale market price needs not only
14 cover that loss of revenue it needs to overcome that loss
15 of revenue plus loss of energy capability.

16 So you talk about high hurdle rates from a cost
17 perspective for these resources to do that because of other
18 incentives outside of the wholesale markets. Now New York
19 has been thinking and considering separating its reg up and
20 reg down for a lot of the reasons that Walter mentioned that
21 PJM is considering it.

22 We think there is opportunity at least to have
23 requirements that may be more effective and efficient across
24 the times of day. We do think there could be potential
25 opportunities for renewable resources that provide

1 regulation down in this case. And we also think that
2 there's opportunities for other resources that may be at a
3 PMIN to provide regulation up when today having a
4 symmetrical product that is reg up and down, that resource
5 would be excluded from.

6 So there's some opportunities there, but I think
7 just focusing on the capability of the resource is probably
8 not going far enough when thinking about whether there is
9 value in providing such a feature.

10 MR. FARES: Thank you. Next let's go to Nikita
11 Singhal.

12 DR. SINGHAL: Thank you. I think Mike covered it
13 the questions really well. But technically there is no
14 distinction between being dispatched down and being
15 curtailed. The two are synonyms, but one has typically
16 carried with it a negative connotation.

17 The overarching goal should always be to ensure
18 that the resource is operated in the manner that's most
19 effective from a system perspective, and to devise ways to
20 incentivize it accordingly. Now there may be instances in
21 which stand-alone variable energy resources may be needed to
22 be curtailed to allow reliable operations or dispatched down
23 to accommodating system conditions.

24 Now from a technical perspective the variable
25 energy resources may be curtailed or dispatched down either

1 due to transmission congestion, either due to what could
2 also be low load or minimum generation constraints, or to
3 ensure that there is sufficient available rampable capacity
4 available to accommodate future instances of unavailability
5 from the variable energy resources.

6 For instance due to limited options to manage
7 transmission congestion sometimes variable energy resources
8 need to be curtailed to relieve that congestion. Now during
9 those instances VEs must be dispatched down or penalized.
10 Given that these facilities also earn additional revenues
11 from production based mechanisms independent of wholesale
12 electricity market revenue, typically there are limited
13 economic incentives for these resources to provide upward
14 reserve service, such that it require the resource to be
15 backed down or subject to forego energy sales given
16 production tax credits for instance.

17 Typically the economics that impact the
18 availability of variable energy resources to provide upwards
19 response because there are very few instances and conditions
20 when it may be economic to dispatch a resource below its
21 forecasted upward operating limit. For example, curtailing
22 or dispatching down a variable energy resource to provide
23 ancillary services may reduce the need to commit an
24 additional resource.

25 This results in accompanying system benefits in

1 the form of reduced commitment costs that are potentially
2 not always reflected in prices. Otherwise, a majority of
3 the instances due to the zero marginal costs and the
4 negative offers, these resources are typically scheduled at
5 their upward operating limits, thanks.

6 MR. FARES: Thank you. Next let's go to Betsy
7 Beck.

8 MS. BECK: Thanks. And I think the previous
9 panelists mostly covered it well. The only thing that I
10 wanted to reiterate was that yes, new and modern energy
11 storage, wind and solar resources are very much dispatchable
12 and do follow market dispatch signals.

13 Typically as was mentioned because they are going
14 to be the lowest cost marginal resources, the system is just
15 mirroring what the actual output of the plant is at any
16 given time unless of course there is a dispatch down, or a
17 curtailment signal sent at which point all of the automated
18 dispatch signals go to the renewable plants, and they can
19 respond very quickly.

20 And as I think I mentioned in my opening comments
21 SPP did, and other markets have required resources to
22 convert to be dispatchable, so some of the older legacy
23 projects that were originally built, you know, a decade ago,
24 did not have the full dispatchable capabilities, but have
25 since converted you know, spent the money and invested in

1 the upgrades necessary to put those systems in place to
2 become dispatchable.

3 ENEL just completed this process in SPP for
4 several hundred megawatts of wind that were some older
5 projects, and at the beginning of 2021 we did become
6 compliant with that new requirement, and now have a fully
7 dispatchable fleet. And I believe the vast majority of wind
8 in SPP has completed that conversion to date, and so that's
9 great for the operators to now have that increased ability,
10 and again it was a costly endeavor for some older resources,
11 but something that we were able to make the investments and
12 retrofit to accommodate.

13 But again, everything that's being built now is
14 already being built with those capabilities. But I did want
15 to mention again one thing that I mentioned in my opening
16 comments was that when wind or solar for example is
17 curtailed, and then the curtailment is released, those
18 resources are able to come out of that curtailment and start
19 generating again up to their full capability at that time in
20 the matter of you know seconds, not minutes.

21 And so that is a place where you see those ramp
22 rate limitations come into effect because you know prices go
23 up. They want to release that curtailment on the resource,
24 and the resource wants to respond quickly to respond to
25 those price signals, but is limited often times by the use,

1 by these ramp rates, even though they can respond much more
2 quickly. Thanks.

3 MR. FARES: Thank you Betsy, and all the
4 panelists for their responses to that question. I wanted to
5 follow-up, I mean considering a number of you mentioned the
6 fact that the incentives really aren't there, just based on
7 you know prevailing market conditions for a zero marginal
8 cost resource to hold back its potential output in order to
9 provide an up ramping type capability.

10 How do you see that potentially changing as the
11 penetration of the zero marginal cost variable resources
12 increases? Would that create a greater incentive
13 potentially for resource owners to provide some of these up
14 ramping capabilities? And I think either way, or if so,
15 what market rule changes might be necessary in order to
16 accommodate that, thanks. Mike?

17 MR. DESOCIO: Robert I think your question is a
18 really good one, and I wish I had my crystal ball to be able
19 to give you the answer that we'll all see in a few years. I
20 think the ability for the wholesale markets to overcome the
21 out of market incentives that exists is going to be really
22 challenging.

23 And I look at that in the face of the amounts of
24 procurements that are being signed up by various states to
25 achieve their local policy goals. I'm not suggesting that's

1 a bad thing, it's just the incentives that will be outside
2 the wholesale market in those cases will just be very large.

3 And it's not clear to me that it would be more
4 advantageous to try to get other services provided by these
5 renewable resources rather than investments in other types
6 of technologies like energy storage or other flexible
7 resources that may be more advantageous to fulfill you know
8 the energy droughts that we're going to end up having when
9 some of these resources aren't around.

10 And in those cases I see that modifications to
11 reserve requirements, New York is focused on developing ways
12 to dynamically determine the reserve requirements, not only
13 based on a deterministic loss of the largest resource, but
14 also on the probabilistic loss of a swath of offshore wind
15 plants, or a swath of land based wind plants because now the
16 contingency isn't the loss of a 2,000 megawatt nuclear
17 reactor, it's the loss of 50 percent of 10,000 megawatts of
18 offshore wind.

19 And that loss is much bigger, and which would
20 create upward pressure on the need for reserves and meet
21 their pricing. And I think when I think about those things
22 I don't envision that you'll see the economics of curtailing
23 renewable resource to provide that being the most effective
24 way to manage. I see other resources really looking to
25 fulfill that gap. Thank you.

1 MR. FARES: Thanks Mike. Next why don't we go to
2 Jason Burwen.

3 MR. BURWEN: Thank you. I wanted to just
4 follow-up on what Mike was saying when he started saying
5 what I was going to suggest here right, this in a high
6 renewables future, a temporary reduction in output from wind
7 and solar and a forced outage from thermal generator are
8 going to become more and more indistinguishable, but the
9 services to provide the flexibility for each of those two
10 situations currently varies right?

11 And so this is I think the heart of this
12 question, how do ancillary services maybe need to evolve,
13 you know, contingency reserves are event driven, but higher
14 renewables where we might need these to be more continuously
15 deployed at varying time scales for reserve windows, this is
16 what I think what I mean by flexibility reserves, a concept
17 that folks are covering in papers.

18 I know the Renewable Energy Buyer's Association's
19 report on designing a 21st Century electricity system sort
20 of is diving into this. And so that change is going to be
21 very important one, to make sure that we're actually working
22 with the higher renewables future and the system has
23 conquered that based on that change to how we think about
24 outage and change of output, but this gets back to also I
25 think the same question of how you value flexibility.

1 And Mike makes a very good point. Not only do
2 you observe marginal properties with the out of market
3 payments are going to make it that an energy price reference
4 for such services becomes increasingly challenging and
5 problematic for actually providing that single value to
6 that.

7 I agree that in fact in some ways it almost
8 forces without the evolution of ancillary services, the
9 highest formation associated with it forces you into a world
10 of thinking about how do we change that behavior of the
11 variable renewable generators.

12 And I think the way I would describe this is that
13 you actually have multiple paths out of that question which
14 is focused on changing the variable renewable generators
15 behavior, the others is focused on the market products price
16 formation.

17 MR. FARES: Thanks Jason. Next let's go to Brian
18 George.

19 MR. GEORGE: Yeah thanks. I mean I would just
20 add real quickly I mean I think that this goes back to the
21 point of making sure that we're designing our markets around
22 the capabilities that we need. I mean to the extent that
23 resources can provide those services, that's what we should
24 be going for. And I think you know in addition to the point
25 around you know zero marginal cost.

1 I mean I think that's where it becomes all the
2 more important if what we're doing is actually providing an
3 investable signal for folks to develop the resources that
4 have the services that are needed, and that's you know I
5 think why we need to look at not just these changes with
6 respect to the ancillary services markets, but also with the
7 energy markets, and ultimately the capacity markets where
8 they exist, so that we are you know providing folks with the
9 right investment signals to make sure that we are deploying
10 resources with these capabilities that we know we're going
11 to need, thank you.

12 MR. FARES: Thanks Brian. Next let's go to Betsy
13 Beck.

14 MS. BECK: Sure. I just wanted to build on one
15 comment that Mike made a little bit which is that as we
16 think about what the systems needs in an increasing grid
17 with more renewable and variable resources, and we think
18 about the contingency and what ancillary services and
19 reserves are needed. You know we think about the offshore
20 wind you know losing a large portion of that.

21 We're not, you know, we're not expecting to see
22 that like trip off line the way we would think about a
23 conventional resource tripping, rather the things we need to
24 be planning for are uncertainty in forecast. And there it's
25 a little bit different timeframe, and it's a little bit

1 different problems and it means that we're going to need to
2 start shifting to plan for.

3 So it's you know it's different than deviations
4 from the day ahead to the real time forecast, or it's a
5 weather system that's shifted you know 100 miles in one
6 direction, but that we have you know a bit of visibility
7 into maybe a few hours, or 30 minutes in advance.

8 And so you know as we think about what's
9 happening you know around weather dependent resources, it's
10 less of an unforeseen you know tripping of a resource, but
11 rather you know how can this system have the ramp that it's
12 going to need as we expect you know wind or solar to perhaps
13 have a steep ramp, which again is something that we have --
14 are getting better and better at forecasting.

15 And so our ancillary services and reserve
16 products need to perhaps shift in their timeframes, and what
17 they're looking at to plan for these different types of
18 events that are going to occur in the higher renewable
19 penetration future because they are inherently different
20 from the types of events that we have planned for on the
21 system historically.

22 MR. FARES: Thanks Betsy. Next I want to go to
23 Walter Graf.

24 DR. GRAF: Yeah thanks for the question, and
25 great discussion so far. I wanted to second Mr. DeSocio's

1 comments regarding the distortionary effects of out of
2 market revenues. This is just a disconnect between what
3 some of these policies ultimately report to value, which is
4 displacing carbon and what they do, which is paying for
5 megawatt hours of clean generation even when that generation
6 does not displace carbon, but it may well displace other low
7 or zero carbon resources.

8 That disconnect really does introduce
9 difficulties into the wholesale market, and it's a difficult
10 problem, one that we have yet to resolve. I do want to
11 agree with the other comments that other panelists have
12 made, but I wanted to add one more thought regarding how do
13 we value that flexibility.

14 First, this is not a fundamentally different
15 problem from that which our markets have been designed to
16 address, and I would say have done a reasonably good job of
17 meeting that challenge. Uncertainty, whether driven by
18 changes in load, or changes in thermal, or intermittent
19 resources is not a fundamentally different problem.

20 I think that we should not be looking for
21 fundamentally different solutions. And second, I'd like to
22 suggest that the increasingly variable and volatile prices
23 that we get under the type of future that you described will
24 themselves incentivize flexibility because those resources
25 that can best capture those high priced periods are those

1 that have flexible capabilities and are operated flexibly.

2 MR. FARES : Thank you Walter. Next let's go back
3 to Mike DeSocio.

4 MR. DESOCIO: Thanks Robert. I think Walter
5 covered a lot of what I wanted to say, but in response to
6 others that have pointed out desires to focus on capacity
7 market reforms to create flexibility or flexibility
8 products, I'd encourage us to maybe step away from that
9 paradigm, and instead focus on making sure we're valuing
10 capacity resources appropriately.

11 I think capacity accreditation is one of the more
12 important things we could be doing with the capacity market
13 to make sure we're incenting the fleet that we need to
14 manage the grid of the future, and certainly New York is
15 focused on that right now, and looks forward to continuing
16 to evolve that, thanks.

17 MR. FARES: Thanks for that closing comment Mike.
18 I think with that I'll turn it over to my colleague Aaron to
19 close us out.

20 MR. SISKIND: Sure. First I wanted to check and
21 see. Chairman Glick did you have any final comments for
22 this panel?

23 CHAIRMAN GLICK: No. Other than to thank the
24 panelists. This has been a very interesting discussion.

25 MR. SISKIND: Thank you Mr. Chairman.

1 Commissioner Clements did you have any statements?

2 COMMISSIONER CLEMENTS: No same, thank you for
3 the participation. Really interesting conversation and
4 helpful.

5 MR. SISKIND: Okay. Well thank you Chairman,
6 Commissioner Clements and all of our panelists. I think
7 this was a really great discussion. This concludes our
8 panel here. We'll now take a lunch break and we'll be back
9 at 1:30. Panel 2 panelists please sign out of the Webex
10 meeting.

11 If you would like to continue watching the
12 conference you may use the link, the public link available
13 at ferc.gov. Chairman, Commissioners, panelists for Panel 3
14 please be on the line at 1:15. We'll run through the
15 technical logistics at that time to make sure everyone's
16 able to connect. Thank you and have a fun lunch.

17 (Break 12:27 p.m. - 1:30 p.m.)

18 Panel 3: Revising RTO/ISO Market Models, Optimization, and
19 Other Software Elements to Address Operational Flexibility
20 Needs

21 MR. SMITH: Hello. Welcome back from lunch and
22 thank you for joining us. My name is Alex Smith, and I'm
23 with the Office of Energy Policy and Innovation. My
24 colleague Tom Dautel, also for the Office of Energy Policy
25 and Innovation and I will be co-moderating this third panel.

1 This panel will focus on potential changes to
2 RTO/ISO energy and ancillary service market models, software
3 and operational practices to optimize the changing resource
4 fleet. Discussion in this panel will refer to RTO/ISO
5 software used for market clearing and pricing of energy and
6 ancillary services, and any software supporting that
7 function, including software for advisory commitments, look
8 ahead commitments, and resource modeling among others.

9 In addition to the panelists which I'll introduce
10 shortly, I'd also like to welcome Chairman Glick to this
11 panel. Before we start the question and answer session I'd
12 like to once again remind all participants to refrain from
13 discussing the specific details of the pending contested
14 proceedings listed on the supplemental notice, and to
15 refrain from discussion any other pending, contested
16 proceedings.

17 If anyone engaged in these kinds of discussions,
18 my colleague Adam Eldean from the Office of General Counsel
19 will interrupt the discussion to ask the speaker to avoid
20 that topic. And before I go further, I should also welcome
21 Commissioner Clements to the panel. Thank you for joining.

22 I will call each panelist in turn to give their
23 response to our first question. I ask that panelists limit
24 their initial response to no longer than five minutes. Our
25 question is what are the challenges to incorporating

1 uncertainty within the current RTO/ISO market software?

2 For example, how can improvements in forecasting
3 be used in the intraday commitment processes that include a
4 range of forecasts or a longer look ahead commitment and
5 dispatch horizons result in a more efficient unit commitment
6 and dispatch in real time? Panelists please answer this
7 question, and in turn I'll call on you by name. And I'll
8 start with Dr. George Angelidis.

9 DR. ANGELIDIS: Hello and thank you. Can you
10 hear me okay?

11 MR. SMITH: Yes, thank you, please go ahead
12 George.

13 DR. ANGELIDIS: Thank you. So the challenge
14 incorporating uncertainty in the market is two-fold. First
15 of all you have to decide a market commodity and procure it
16 and reserve it in the market, so this particular task
17 requires a multi-interval of optimization because this
18 commodity is only reserving ramp capability from one
19 interval to the next, so that this ramp capability can be
20 available and deliverable in the next market ramp where
21 uncertainty potentially materializes.

22 And the second aspect is you have to come up with
23 a reasonable methodology for calculating the uncertainty
24 requirement without tremendous effort because you have to do
25 it constantly as the market ramps update the requirement.

1 So for that you need to harvest historical uncertainty data,
2 and regress this data along with the current forecast that
3 you have available for its application, synthesize the
4 regression results and come up with an uncertainty
5 requirement.

6 And for this work you could take a simple
7 approach of calculating a regression on a single regressor
8 like the net demand forecast which is your demand forecast
9 reduced by solar and wind forecast, or you can take a more
10 elaborate approach which is more accurate, and do it over
11 three regressors separately as we do it in the California
12 ISO where we handle demand forecast, solar forecast and wind
13 forecast as separate regressors, so we harvest the data
14 separately, and then we regress it all together to come up
15 with the uncertainty.

16 And we use a 180-day rolling horizon for
17 calculating this uncertainty, the requirements calculated
18 for each balancing authority area in the energy imbalance
19 market, so that's a static calculation that repeats every
20 day, but there is also a dynamic component that you have to
21 calculate this on the fly for every market ramp because we
22 have a process for where we procure this ramping product, we
23 call it flexible ramping product for the group of balancing
24 authority areas that pass a resource sufficiency evaluation
25 test.

1 And this can change for every market run, so you
2 also have to do this dynamically, so it's really performance
3 intensive. So that's one of the biggest challenges that
4 we're facing. Thank you.

5 MR. SMITH: Thanks very much George. Next I'll
6 call on Dr. Erik Ela.

7 DR. ELA: Great. Thanks Alex, and thanks to
8 Chairman Glick, FERC Commissioners, and FERC staff,
9 including Emma and the team for inviting me to participate
10 today. So just a quick background. EPRI conducts R and D
11 on behalf of the electric sector, and one of the areas that
12 we have supported in recent years is on electricity markets,
13 and electricity market clearing software.

14 Through advanced simulation analysis we look at
15 the potential advantages and disadvantages of emerging
16 market designs, operational strategies and software
17 implementations, and provide those insights back to the RTOs
18 and stakeholders in the hope they can be useful in
19 determining design and implementation decisions.

20 So in regards to the question of incorporating
21 uncertainty, I think there's some information that's useful
22 to start with that I think we'll hear from other panelists
23 potentially as well. So forecast, day ahead forecast for
24 load, wind, and solar that are you know utilized by the ISO
25 are currently only used in the reliability unit commitment

1 process, which is called the RUC, sometimes the RAC
2 reliability assessment commitment, or forecast path, et
3 cetera.

4 These processes primarily are run after the day
5 ahead market with a primary focus of committing sufficient
6 resources that require a day ahead notification time while
7 minimizing the residual unit commitment costs. So resources
8 committed in the day ahead market are not de-committed. If
9 for example, the renewable forecast is higher than the
10 renewable bids, in addition is often the case that the
11 energy costs are ignored, so the incremental energy costs
12 are ignored or largely discounted, so that only the
13 commitment costs are of concern -- things like startup costs
14 and no load or minimum generation costs.

15 This implies that improved day ahead forecasts of
16 load and renewables have somewhat of a limited impact on
17 economic efficiency in a direct sense. That said it is
18 important to consider that improved forecast can improve
19 efficiency when these are used directly by loads, you know,
20 market participants, renewable resource assets, as well as
21 financial participants, such as virtual traders when these
22 forecasts are used in their offer strategy.

23 So moving into real time and the real time
24 dispatch and most other intraday processes such as the
25 intraday reliability unit commitment, or real time unit

1 commitment. In these cases forecasts are used more directly
2 in the ISO processes, so the ISO gets these forecasts for
3 individual resources, or for load zones for example, and
4 uses them directly into the scheduling processes and into
5 the market clearance software.

6 So this means that for forecasts and other
7 enhancements of forecast applications such as a longer look
8 ahead horizons, or multi-scenario forecast utilizations, can
9 have a more direct impact on both reliability and economic
10 efficiency, so those are some of the comments I wanted to
11 start with in terms of uncertainty and use the forecast and
12 look forward to the rest of the session. Thank you.

13 MR. SMITH: Thank you so much Erik. Next I'll
14 call on Dr. Bethany Frew.

15 DR. FREW: Great. Thanks Alex. It's an honor to
16 be on this panel. I'm a researcher at the National
17 Renewable Energy Laboratory, and I'm going to be providing
18 some opening remarks to this discussion on uncertainty from
19 a strong computational modeling perspective.

20 Drawing from various studies that we've done
21 collectively at NREL over recent years, but I'll note that
22 we are actively doing more work in this space to continue
23 exploring specifically the role of forecasting accuracy and
24 look ahead. So first related to forecasting improvements it
25 probably goes without saying that better forecasting make

1 things more efficient, specifically from a production cost
2 and curtailment perspective.

3 But the value of improved forecast depends on
4 both the amount of renewables, and thermal units in this
5 system. And so we've seen consistently across different
6 studies, almost a transition zone where as you start to
7 increase the amount of renewables on your system,
8 specifically variable renewable resources like wind and
9 solar, and you start to reduce the amount of thermal units
10 in the system, there's sort of this transition beyond which
11 unit commitment related impacts can be diminished.

12 And so specifically start-up costs are one of the
13 areas where we see a lot of value of improved forecast,
14 whether as you remove or many of those thermal units could
15 be retired in future scenarios, the value of those improved
16 forecasts decline. So there's really this interesting kind
17 of interplay between what's happening in the rest of the
18 system, and the forecast quality.

19 There's also a bigger issue of time scales with
20 this conversation on forecast improvements where forecasts
21 and improvements of them won't do much good unless the time
22 scales of those forecasts are explicitly synched to some
23 sort of decision process in the system.

24 Secondly, related to the look ahead topic we've
25 also found repeatedly in our grid integration studies that

1 the look ahead extent and the resolution can significantly
2 impact trade-offs in the operating reserve and unserved
3 energy penalties, as well as start-up costs specifically of
4 peaking generators as well as infeasibilities as the model
5 sees it.

6 Storage is particularly sensitive to these look
7 ahead settings, and so there's really a strong link between
8 the information quantity and the granularity, at least again
9 from a modeling perspective. So beyond these two key topics
10 that we're focusing on of forecast improvements and look
11 ahead, there's also from a more market design perspective,
12 we found that there are often multiple ways to achieve the
13 same end results.

14 And I know others in this panel have been working
15 this space. Erik at EPRI comes to mind as one, but there's
16 various products, there's rules, there's pricing mechanisms,
17 the data issue itself and any better quality data, there's
18 the operational sequence and frequency which gets to the
19 multi-interval point that's been mentioned a couple of
20 times. Even out of market mandates, and even other
21 technologies where there can be trade-offs for example with
22 storage, demand response and transmission to provide
23 flexibility for the system.

24 And so there really needs to be a process to
25 identify and assess these various options for specific

1 systems, and specific futures to understand which
2 combinations, or which items might be best suited for those
3 particular applications. And ultimately, I think what we're
4 getting is a trade-off between better information, and
5 increased computational burden, and getting better quality
6 data is not a trivial, or a free task.

7 And I say that from both a research perspective
8 where it's a heavy lift to get better data, improved
9 forecast, increasing the granularity of our models, having
10 additional look ahead horizons, or additional intervals over
11 which the operation of the market is clearing.

12 And it's also true for continuous day to day
13 operations which has been mentioned at least once in this
14 conversation already on the need to kind of do on the fly
15 calculations. So just wanted to end with that point, and so
16 there is this kind of trade-off question that I think has to
17 be discussed. Thank you.

18 MR. SMITH: Thank you Bethany. Next I'll call on
19 Dr. Congcong Wang.

20 DR. WANG: Thank you to the Commission for
21 hosting this event, and for inviting me today. At MISO we
22 are looking at a variety of ways to address growing
23 uncertainty and variability, including approaches posting
24 this question. I'd also like to broaden the discussion
25 somewhat beyond those measures.

1 First and foremost, in our minds, characterizing
2 uncertainty correctly is one of the largest challenges and
3 the quickest needs. Before we figure out how to change our
4 commitment dispatch model. Once we figure that out then we
5 can integrate flexibility into the optimization model either
6 through reserve products, stochastic or robust optimization,
7 or combination, but each approach has its own challenges to
8 clearly reflect the operational needs.

9 And finally, almost all of these approaches
10 contribute to increasing computational. So regarding
11 uncertainty characterization the inputs we give our
12 commitment dispatch engines define the problem we are asking
13 them to solve. So we really need to have a good handle on
14 the uncertainty, otherwise as the saying goes garbage in,
15 garbage out.

16 This entails collecting not only forecast, but
17 also their confidence intervals, and understanding their
18 co-relations and aggregating them in a timely manner. The
19 problem is becoming harder as uncertainties increase in
20 intensity and a variety. As we are hitting the 30 GW mark
21 of wind and expecting record growth of solar, the variety
22 and uncertainty are coming in greater volume.

23 But it's not just about growing forecast errors,
24 for examples, in that scale interchange, transmission and
25 generation outages, and fuel availability are all moving

1 parts, and the changing weather patterns are making things
2 harder to predict.

3 So furthermore, uncertainties correlate, and
4 their impacts differ across time. We have experienced
5 extreme ramp challenges on days where underestimated a steep
6 wind drop with the evening load ramp then resulting in the
7 almost 600 MW lost every 10 minutes, then that's almost
8 equivalent to a loss of a large, combined cycle every 10
9 minutes for over an hour.

10 So a priority for us is really to improve
11 forecasts and particularly to quantify and aggregate
12 uncertainties. With uncertainties characterized flexibility
13 needs can be accounted in the commitment dispatch model, and
14 that is primarily done through reserve products. However,
15 operations manage uncertainty throughout the day, or even
16 day or days ahead.

17 We are exploring a new whole existing, or new
18 flexibility products each with a defined timeframe aligned
19 with our operational flexibility needs, and how different
20 products can work together to address the evolving
21 uncertainty across time. Our unique regional situation
22 further emphasize the challenge of the deliverability of
23 uncertainty.

24 Unlike energy where we model the transmission,
25 the regional transfer limits explicitly reserves are not

1 allocated on a granular basis, so we can run into the risk
2 of obtaining reserve in one place, but not deliverable to
3 where it's needed. We are currently working on the issue of
4 reviewing the reserve requirements and enhancing
5 deliverability.

6 We are also looking into stochastic look ahead
7 commitment to manage flexibility, however those scenarios,
8 especially if we combine with a longer look ahead horizon,
9 you increase the problem size significantly. The
10 computational time then where it will become a major issue
11 as it increases exponentially with the problem size.

12 Along with the unit commitment approaches we are
13 also exploring best practices for selecting scenarios and
14 improving computational time. And getting the time right is
15 critical because operators have strict decisions making
16 timeframe as resource flexibility diminish due to their
17 start up and notification time, ramp rate et cetera, and
18 this is particularly hard for our footprint with a
19 tightening supply margin and good portion of long-lead
20 units.

21 So incorporating uncertainty into the market
22 software is promising, and it's needed. However, we must
23 start by correctly characterizing the uncertainties. The
24 commitment dispatch problem will become harder to manage
25 with a varying flexibility needs across time as well as

1 geography.

2 So finally, almost all of these changes
3 contributed to an increase in computational challenges. So
4 I look forward to more discussion today. Thank you.

5 MR. SMITH: Thank you Congcong. Next I'll call
6 on Arne Olson.

7 MR. OLSON: Thank you for the opportunity to come
8 here today and present some thoughts on ancillary services.
9 I'm Arne Olson, I'm a Senior Partner with E3. I'm going to
10 start with maybe some broader brush recommendations from our
11 work, years of experience in market design, transaction
12 support, and energy systems modeling, both for the existing
13 power systems, but also future systems under a trajectory
14 toward deep decarbonization.

15 Our views on ancillary service market reforms are
16 summarized in our recent white paper called Scalable Markets
17 for the Energy Transition that which I'll file in this
18 docket. In that paper we consider reforms that are needed
19 to efficiently and reliably scale clean energy. We observed
20 that the grid's need for energy and capacity and grid
21 services, will remain the same under very high levels of
22 clean energy resources.

23 However, the nature of the resources that provide
24 those services will be very different, and markets must
25 evolve to optimize the use of these new resources. In

1 particular, inverter based resources such as wind, solar and
2 battery storage, have the capability to respond very quickly
3 -- much more quickly than conventional resources to dispatch
4 signals.

5 But they can only offer that capability at
6 certain times, and their cost for doing so is based not on
7 direct out of pocket costs, like for conventional resources,
8 but on lost opportunities to sell energy contemporaneously,
9 or in the future. Fully optimizing these resources based on
10 grid conditions will be critical to ensure reliable and
11 cost-effective transition.

12 So recommendations for ancillary service markets
13 are four fold. First, market operators must develop
14 scientific methods for determining the quantity of ancillary
15 services needed based on continually changing grid
16 conditions. There are initiatives underway at EPRI, at E3
17 and others, some of them including our own funded in part by
18 ARPA-E to develop software that projects net load
19 uncertainty across multiple time steps as a function of
20 changing load, wind, and solar forecast error using advanced
21 computational techniques such as machine learning.

22 And we think these models can help reduce costs
23 by identifying periods in which grid conditions are stable,
24 and lower quantities of reserves are needed. And increase
25 reliability by identifying periods in which higher reserves

1 may be needed.

2 So just as an example when wind and solar
3 production are very high, there's little need to procure
4 downward reserves in case production goes up even further,
5 and conversely when wind and solar production are very low,
6 there's little need for upward reserves in case production
7 drops further.

8 Second, market operators should take steps to
9 ensure that inverter based resources are bidding their full
10 range of capabilities into the various markets. Wind and
11 solar projects can be dispatched downward, all the way to
12 zero, nearly instantaneously. They can also be dispatched
13 upward, but only if they're producing below the maximum
14 potential. They should have the capability to bid both
15 upward and downward flexibility, with bids reflecting their
16 opportunity costs of lost sales of energy and clean energy
17 attributes.

18 Third, upward and downward reserve products
19 should be specified and procured separately. Wind and solar
20 projects have asymmetric cost functions for providing upward
21 and downward reserves. The cost for providing downward
22 reserves is only the lost revenue that is experienced during
23 the few real time intervals in which the resource is
24 actually dispatched downward, whereas the cost of providing
25 upward reserves is realized immediately in reduced hourly

1 energy revenues for the entire megawatt quantity offered,
2 and is only partly ameliorated when the service is
3 dispatched upward in real time.

4 Energy storage may also have asymmetric
5 opportunity costs for the provision of reserve services. If
6 owners expect energy costs to increase during the project's
7 storage horizon, their cost to provide upward reserves is a
8 function of their lost opportunity to earn additional
9 arbitrage revenue by charging now at low cost.

10 And conversely, if they expect prices to go down,
11 they'll be willing to provide downward reserves only if the
12 price is compensatory with the lost revenue from delayed
13 discharge. And these values can be very different at any
14 given point in time.

15 And finally, and most ambitiously we should look
16 to market software to optimize the use of energy storage.
17 It's the most flexible resource available in the market, but
18 it's costs are entirely defined by market opportunities to
19 buy low and sell high. As substantial quantities of storage
20 are added it will be increasingly important for market
21 software to optimize its use, meaning that in an ideal world
22 we would allow the market software to determine when energy
23 storage is charged and discharged on a daily basis.

24 We should look to the market software to
25 determine which reserve products are provided by energy

1 storage optimally, and lastly the market software should be
2 able to calculate endogenously in the energy storage
3 opportunity costs based on market clearing prices for energy
4 and ancillary services, and fully compensate the project's
5 owners for the value of all services provided.

6 So those are my opening remarks, and I'm really
7 looking forward to the rest of the conversation. Thank you.

8 MR. SMITH: Thank you Arne. Next I'll call on
9 Dr. Jinye Zhao.

10 DR. ZHAO: Good afternoon everyone. I'd like to
11 first thank Chairman, Commissioners, and Commission staff
12 for inviting me to participate in this very important
13 technical conference. So as I listened to the opening
14 remarks of other panelists I realized some of the comments I
15 had prepared at first, may reflect other panelist's views,
16 so I apologize. It may seem a little repeating of what
17 others have said.

18 So in order to manage uncertainties during
19 operating periods we need to address two main questions. So
20 the first question is how to reduce the magnitude of
21 uncertainties. So in other words it's how to reduce the
22 problem size. And the second question is given that there
23 are always uncertainties in the system, so what solution
24 strategies can we use to manage uncertainties.

25 So let me start with the first question -- how to

1 reduce the magnitude of uncertainties. I think improving
2 forecasting would be one of the most direct ways to reduce
3 uncertainties, so without a good forecast we would have a
4 garbage in, garbage out problem. You know commitment and
5 dispatch process. Congcong also mentioned that when she
6 spoke, and in addition to reduce uncertainties, ISO New
7 England also implemented do not exceed limits.

8 We also call it DNE limits, so we use that as a
9 dispatch instruction for renewable resources. The DNE
10 limits allows us to maximize the usage of extra renewable
11 generation above the forecast value, but at the same time
12 cap the generation below a level that won't violate system
13 reliability.

14 But however, uncertainty is in the DNA of power
15 systems, no matter how we reduce the size of uncertainty,
16 there always exists unexpected events, such as contingency,
17 generators not following dispatch signals, and with the
18 climate changes, power systems are likely to be exposed more
19 frequently to large uncertainties under extreme weather
20 events.

21 So therefore it's important to develop
22 uncertainty management strategy which leads us to the second
23 questions. So there are multiple ways to manage uncertainty
24 in the market software, and in previous panels have listed a
25 few very good approaches. So I view these approaches can be

1 separated into two buckets.

2 So one is the deterministic approach. So the
3 industry has been using 10 minutes and 30 minutes reserve
4 products, and also has adopted some new ancillary service
5 products such as ramping and flexibility products to cope
6 with uncertainties. And these are reserve and new ancillary
7 service products can be considered as deterministic
8 approaches, so they are straight forward, and also
9 computationally efficient.

10 They serve well to simplify the decision-making
11 process in time critical applications. However, the
12 drawback of the deterministic approaches is that if the
13 number of random variables and system complexities are
14 greatly increased, then collapsing all the set of possible
15 future outcome into a single reserve requirements, or ramp
16 flexibility requirements may not be a very effective way to
17 handle uncertainties.

18 So besides the deterministic approach, then there
19 is probabilistic approaches. So the probabilistic
20 approaches includes scenario based stochastic optimization,
21 robust optimization, and these approaches have drawn a lot
22 of attention because of their capability to explicitly model
23 uncertainties in the dispatch, in the commitment problems.
24 However, the stochastic and the robust optimizations are
25 still computationally challenging.

1 So they are not quite ready yet to be used in
2 productions. And in terms of the look-ahead horizon, I
3 think a longer look ahead commitments or dispatch horizons
4 is always beneficial for scheduling resources to manage
5 predictable changes in theory. So especially when we have a
6 system is time-coupled through ramping energy storage
7 resources, as well as limited energy resources.

8 In this case look ahead, have a longer look ahead
9 capability is very important. However, the issue with look
10 ahead optimization is the further out we look ahead, the
11 more uncertainties we have right? So it becomes very
12 difficult to know the effect of a decision you made ahead of
13 time without a perfect forecast foresight.

14 So some decisions made early may not be efficient
15 or reliable when uncertainties is materialized. So in
16 summary, different ways can be used to mitigate uncertainty
17 risk, and some methods may be more effective than others,
18 but depending on the magnitude and time skills of
19 uncertainties.

20 And because each region has its own unique
21 characteristic in the resource mix, and ISOs and RTOs face
22 different uncertainty challenges, so there's no one size
23 fits all solution. And as each ISO and RTO develop a set of
24 solution methodologies which are suitable for its own
25 regional needs, and I also think it's very important that we

1 learn from each other using the opportunity like today's
2 conference. So I really appreciate the other panelists for
3 sharing your insights on this topic today, and I look
4 forward to the panel discussion. Thank you very much.

5 MR. SMITH: Thank you Jinye. I'll now turn to
6 the Chairman and Commissioners for any questions they may
7 have starting with Chairman Glick. Mr. Chairman you might
8 be on mute. We can't hear you.

9 CHAIRMAN GLICK: I'll try it again. Alex I just
10 want to thank you, but I don't have any questions. Can you
11 hear me?

12 MR. SMITH: Yes perfect, thank you so much.

13 CHAIRMAN GLICK: Thank you.

14 MR. SMITH: Next Commissioner Clements do you
15 have any questions?

16 COMMISSIONER CLEMENTS: I do not at this time,
17 thank you very much.

18 MR. SMITH: Thank you. And Commissioner
19 Christie, thank you for joining us. Do you have any
20 questions?

21 COMMISSIONER CHRISTIE: No questions at this
22 time. Thank you very much.

23 MR. SMITH: Okay. Thank you so much. In that
24 case I'll ask if our panelists have any further comments
25 they'd like to make in response to question one or any of

1 the other panelists responses to question one, please -- are
2 the list for hand raises in case anyone wants to say
3 anything further. George I see your hand is raised. Please
4 go ahead.

5 DR. ANGELIDIS: Yes thank you. And Jinye just
6 mentioned that when you have a multi-interval optimization
7 for having a look ahead which provides you the ability to
8 first of all procure flexibility for the next market run,
9 you need to have a look ahead. And also provides you the
10 ability to make some short term unit commitment which is
11 very important to position resources for what your market
12 horizon can see for future intervals.

13 There is this trade-off between performance and
14 accuracy. Of course it's clear that the longer of the time
15 horizon, more intervals you have to solve, that's the
16 performance intensive part, but then you have to trade this
17 off with what accuracy can expect to have too, so yes
18 further into the future your uncertainty is greater, so
19 system conditions can only be forecasted to a certain
20 extent, but you have the benefit with the longer time
21 horizon to actually perform some higher quality, short-term
22 unit commitment because you'll be able to cycle more
23 resources.

24 The resources that are intertemporal
25 characteristics can fit into the time horizon. You want to

1 capture and model accurately the commitment costs, so for
2 that purpose their startup time and their minimum Up time
3 has to contend with your time horizon. In the California
4 ISO we do have once an hour we run a short-term unit
5 commitment application that looks up to 18 15 minute
6 intervals.

7 That's four and a half hours, so we are capable with this
8 application to perform some sort-term unit commitment to the
9 next coming hours for a number of resources that's in the
10 system.

11 Regarding the uncertainty which makes this
12 process a little bit nebulous for future hours, particularly
13 when you reach to the edge of the time horizon, this is only
14 one part of the problem. The other part that is also
15 problematic is usually for this long-time horizons your bids
16 that you have for market participants for further hours out
17 in the future, they haven't been finalized yet. You don't
18 have financially binding bids.

19 They're still advisory because the market still
20 offer for those future hours. It could be revised, or you
21 don't even have all the bids submitted. So it's really a
22 challenge in the trade-off trying to balance everything,
23 trying to have as long a time horizon as you would like to,
24 versus the accuracy that you can hit with later hours. And
25 that was what I wanted to comment on that, thank you.

1 MR. SMITH: Thank you so much George. Do we have
2 any further comments from any of our other panelists? Okay
3 Jinye I see your hand is up, please go ahead.

4 DR. ZHAO: Okay. Yeah I agree with that George's
5 comments. I feel definitely there is a benefit for having a
6 longer look ahead Horizon, and I feel one other way to sort
7 of handle the uncertainties issues in the longer horizon is
8 what we can do is do more frequent commitment run or
9 dispatch run, so as the operator getting more updated
10 information, and I think we should put this information into
11 the commitment decision as well as dispatch decisions so
12 that the commitment is issued and dispatch run can utilize
13 the updated information and make more informed, more
14 efficient decisions so we don't keep dispatching the system
15 using the outdated information.

16 And I also wanted to add I recall another comment
17 I think brought up earlier by one of the panelists is that
18 the reserve quantities right. So I heard it's very
19 important to start off a historical information to produce a
20 better reserve requirement, so I fully agree in that because
21 so for that case the power system has a set reserve
22 requirement to reflect the largest contingency, or the
23 second largest contingency.

24 So it seems we are constantly using the same
25 reserve requirements all the time, all day, and however with

1 the increasing uncertainty level in the system, I think we
2 need to rethink the definition of reserve requirements. And
3 I think it will be useful that the operator take into
4 account the available information to them, and sort of
5 understanding whether the system is at a low risk or a high
6 risk state, and correspondingly adjust the reserve
7 requirement to properly reflect the system uncertainly
8 level. Thank you.

9 MR. SMITH: Thank you Jinye. I see Arne your
10 hand is up. Please go ahead.

11 MR. OLSON: Yeah I think I thought I might just
12 add on to that a little bit, that you know this is where we
13 see things like machine learning being potentially a good
14 way to kind of bridge the gap between you know, obviously
15 ideally you would be able to do stochastic unit commitments,
16 stochastic dispatch, taking into consideration all of the
17 potential future states, and finding an optimal path through
18 them that minimizes costs across the whole distribution of
19 potential outcomes, but that's you know, very, very
20 confrontationally intensive.

21 One way to maybe bridge that gap is to use the
22 best available historical information continuously updated
23 with tools that continually learn from historical
24 information that based on this state of the system, this is
25 where sort of a P95 or a P5 stage for a net load in the next

1 interval might be, and the next interval after that, and the
2 next interval after that, and the next interval after that.

3 So you might think of it as like an envelope of
4 net load uncertainty over successive time steps all the way
5 up to you know five hours, eight hours, whatever the sort of
6 farthest horizon is that's needed. And so taking that
7 information into consideration when looking at residual
8 commitment, and perhaps even formalizing that as a reserve
9 product to reflect the sort of option value that the system
10 operator needs to be able to call on for head room and foot
11 room, upward dispatch, downward dispatch, as a way to bridge
12 that gap with tools that can continuously learn and
13 continuously get better over time as more and more data is
14 added.

15 Another -- the last point I'll make there is in
16 the past kind of separated this contingency reserve which
17 you know, as Jinye mentioned, is typically based on the
18 largest single contingency on the system from a regulating
19 reserve which is meant to deal with kind of short-term
20 minute variability.

21 Those two things are going to increasingly get
22 closer and closer to the same thing. They're going to be
23 more continuous and less discrete as we have more
24 dispatchable resources or non-dispatchable resources, more
25 variable resources on the system. So large wind events,

1 wind down ramp events might start to look like large
2 contingencies, and there may be you know wind down ramp
3 events that are less large than your biggest contingency,
4 but it's still big, and some that are pretty big, but not as
5 big as your next one.

6 So there's going to be a lot more of continuous
7 range of these types of conditions that we'll need to
8 consider. And so I think some form of formal ancillary
9 service product that's in between regulating reserves and
10 contingency reserves that's dynamic that reflects changing
11 capabilities, or changing needs on the system is a promising
12 way to kind of bridge that gap.

13 MR. SMITH: Thank you so much Arne. Any further
14 comments from our panelists? All right. Seeing no further
15 raised hands I'll now turn to Tom Dautel to ask our second
16 question. Tom please go ahead.

17 MR. DAUTEL: Thanks Alex. I'm moving to the
18 second question in this panel in our agenda. And noting
19 that I think we've covered some of that material already, so
20 just in the interest of efficiency and time management, I
21 was going to focus in on one part of that next question. So
22 the question is how would multi period dispatch modeling in
23 the real time market help address operational flexibility
24 needs, and what are the advantages and disadvantage of a
25 binding, as opposed to an advisory multi period dispatch or

1 unit commitment model?

2 And if you want to answer just raise your hand as
3 you did for the previous question. Okay. I'm not sure who
4 was first, but Erik I think I saw you pretty quickly.

5 MR. ELA: Yeah thanks, thanks Tom. So I think we
6 heard the term time coupled, multi period economic dispatch,
7 which I think in terms of how that's being solved in the
8 real time market, or how it's being used for the actual real
9 time settlements, I believe only New York ISO and California
10 ISO use a time coupled multi period economic dispatch for
11 the real time market settlement.

12 So you know an important thing to mention, a lot
13 of good discussion in the previous question about this
14 already. It's important to mention that it is a good
15 solution in its current form. It only meets the needs for
16 known conditions, not unknown conditions, so I think that's
17 very important. The other is that generally in these models
18 do a better job of preparing for that expected ramp needs
19 than a separate reserve product would be.

20 In terms of reliability and economic efficiency,
21 and that's because these multi period time coupled models
22 also are evaluating the costs of holding capacity for the
23 ramp, as well as the costs of deploying that capacity to
24 meet the ramp, whereas a flexibility product is only in its
25 general form, only evaluating the cost of holding that

1 capacity, so that's an important part.

2 So I wanted to clear that up, but I think it's
3 really that the question of binding in advisory intervals is
4 something that we thought a lot about, and I want to share a
5 little bit of that here and probably more so with the
6 comments afterward. So you know again I mentioned that
7 these time coupled multi-period models do a great job of
8 providing schedules that can meet expected ramp needs to
9 enhance both reliability and economic efficiency.

10 However in its current form there is a
11 price formation challenge in the two ISO's that use
12 multi-period models to clear the real time market I believe
13 that both only use the prices and schedules of the first
14 interval for settlement. And the reason this may cause
15 issue is that during the ramping period where a resource is
16 backed down in the binding interval, in order to meet the
17 conditions in the future interval.

18 It's very important to recognize that you know
19 not only are these multiple period models looking ahead to
20 see what is going to happen in the future, but that future
21 may affect the decisions for now, and that's the time
22 coupled nature of that. But so essentially what happens in
23 this case is that the price of the first interval is
24 depressed, which gets a resource incentive to back down in
25 order to meet that future interval.

1 And then the price of the second interval --
2 let's just use the two interval, is actually going to be
3 high because that's the need is to ramp up to that second
4 interval. So this all actually looks pretty well until what
5 happens is that once that second interval becomes the new
6 binding interval, all of the information -- not all of it,
7 but the information is mostly lost from that previous first
8 interval, which means that price, that high price may not
9 actually show up, especially if the anticipated ramp does
10 not result as high as it was anticipated.

11 It's important to know you might think well why
12 should the price stay high if the ramp does not materialize?
13 And I think for the most part that's true, except for the
14 fact that you have made the decision already for that for
15 one or more resources to back down in order to meet that
16 upcoming ramp, and therefore they may not have the incentive
17 and may have some profit that's impacted.

18 So there are a few options to actually utilize
19 the fact that multi-period dispatch has superior economic
20 efficiency and reliability benefits, you know, with the
21 exception it has this price formation issue, and you know
22 there are a few ways to meet that. I think ISO New England,
23 Jinye may talk more about having, doing multi-interval
24 settlements, so essentially settling on all of the intervals
25 of that multi-period.

1 There's also another option of essentially taking
2 the constraint shadow price of what's happening, to actually
3 utilize that as kind of a reserve price. And you can do
4 that and actually make it so it's more aligned with what a
5 reserve price should be, but you have more of the benefits
6 of a multi-period dispatch which actually as I mentioned is
7 superior to using a separate you know reserve product, like
8 a flexibility product for expected ramp capability.

9 So the question of unexpected you know, being
10 able to posture your resources for what may happen, I think
11 you know we believe that a multi-period economic dispatch
12 can do that as well, and actually price it in a way that can
13 provide the right incentives, but this hasn't really been
14 proven yet, so I think there's more work to be done.

15 So in any case, it's just a lot of information
16 there. There is this price formation issue that can be
17 resolved through at least two solutions, probably more, and
18 we think that would be an efficient way of ensuring you can
19 get the right incentives out and also meet your reliability
20 and efficiency benefits for the time coupled multi-period
21 dispatch, thank you.

22 MR. DAUTEL: Thank you Erik. Next we have a hand
23 raised from Dr. Angelidis.

24 DR. ANGELIDIS: Thank you. So I think Erik
25 really covered these two cases. I just want to add a few

1 more things here. Sometimes you see this effect of system
2 conditions not materializing in the future intervals that
3 you have in your optimization horizon, particularly for
4 further intervals into the future.

5 In the California ISO market the five minute real
6 time dispatch looks at the 13 intervals into the future, and
7 we have seen occasionally this effect particularly for
8 energy storage resources that they have superior ramping
9 capability, so they move very fast. They are not
10 constrained by ramp capabilities, so they're dispatched so
11 that you have a lower operation cost for the system for the
12 entire time horizon, although you only settle the first
13 interval typically which is the binding -- the financially
14 binding interval.

15 The results for the other intervals, although
16 they are advisory and you don't settle them, their cost is
17 part of their objective function to minimize the entire
18 objective function of the entire time horizon, and that's
19 why Erik did say that you know your future conditions do
20 affect your financially binding interval discharge because
21 they're all stringed together with ramp constraints.

22 So the issue of trying to solve this we're
23 looking into solutions particular for energy storage
24 resources, and maybe later on we'll talk more about this,
25 we'll talk about more of those. But perhaps for energy

1 storage resources that they don't have intertemporal
2 constraints, they don't have commitment costs, probably a
3 long time horizon is not that much useful for them, so
4 maybe the objective function can limit the optimization in
5 the first few intervals, the three intervals, and they'll
6 have a cost of dispatch for the remaining of the time
7 horizons so that we mitigate this issue.

8 Although it's not all the time. We have seen
9 this occasionally, so it may not be a problem, we're still
10 collecting data and doing analysis on it. The option of
11 actually settling all intervals in every time horizon in
12 every market run, which obviously will solve this issue
13 because now you're settled in the advisory intervals, so you
14 don't have to rely on bid cost recovery mechanisms because
15 your financially binding interval is out of the money for a
16 resource or two, is appealing as a theoretical solution.

17 But practically is very challenging for the
18 example that I mentioned in the market for the five minute
19 market you will eventually have to settle the same interval
20 up to 14 times. That's a lot of settlement work, not only
21 for the ISO, but also for the market participants that they
22 settle with. So this remains a challenge that we still need
23 to face, thank you.

24 MR. DAUTEL: Thank you very much. Next Dr. Wang.

25 DR. WANG: Yeah. I'd first like to address the

1 multiple period model to a multiple period dispatch, and the
2 multiple period commitment. We currently use a single
3 period dispatch model as Erik said, and then we use the
4 multiple period look ahead commitment.

5 So the multiple period model as commented by
6 previous panelists, has the benefit to pre-position
7 resources for expected or forecasted system changes, but
8 they wouldn't be effective to address uncertainties. So to
9 them regarding still looking at reserve products to more
10 address the flexibility needs. For example, we are looking
11 at the 10 minute ramp capability product, like CAISO does,
12 and they have 30 minute short term reserve. We're also
13 exploring the dynamic reserve requirements to account for
14 the varying uncertainties by time.

15 So for the binding multiple period dispatch model
16 the resources can be potentially better compensated for
17 their pre-positioning, but there are certainly challenges
18 like Erik commented, and we also discussed in a prior FERC
19 technical conferences, especially when those models run on a
20 rolling window basis.

21 Like when binding dispatch targets at divisible
22 intervals may not be actually helpful very much
23 operationally because we always send the latest dispatch
24 target reflecting the most accurate forecast for resource
25 dispatch following.

1 So next what do we want folks look at on the
2 commitment side. Finding the look ahead commitment
3 decisions actually are our target, but I also want to point
4 out that RTOs should be allowed the time to improve the
5 quality of the look ahead commitment, so that we can
6 maintain the efficiency and least cost commitment,
7 especially given the increased uncertainties and the
8 regional diversity.

9 As we noted earlier we are really working to make
10 sure the input is trusted and accurately capture
11 uncertainty, and also we are strengthening our reserve
12 products to really address that flexibility needs. Also we
13 are in the middle of our market system enhancement, so the
14 binding of those look ahead commitment decisions should be
15 coordinate with our engine schedules. And lastly, I wanted
16 to point out in addition to our look ahead commitment we
17 also run a commitment process from market day ahead to day
18 ahead and the intraday, so for those longer horizons as
19 previous comments mentioned, like there's really a balance
20 between the further you look ahead, the more uncertainty you
21 have.

22 And also the balance of wait and get closer to
23 reserve the flexibility of shocking the units when system
24 accommodations are improved, or the forecasts are more
25 accurate. So for those longer horizon commitments it makes

1 more sense to keep it as an advisory as we think. Thank
2 you.

3 MR. DAUTEL: Thank you Congcong. Next we had a
4 hand up from Dr. Zhao.

5 DR. ZHAO: Thank you. I just wanted to add a
6 little additional comments regarding the advisory in binding
7 multi-period dispatch. So Erik gave us an excellent example
8 using a two period dispatch problem to indicate if we only
9 settle the resources on the first binding interval and then
10 treat the future interval as an advisory interval, not
11 settling them then resources may have dispatchability
12 incentive issues.

13 So we also have been looking into the
14 multi-period dispatch problem, and then one thing we've been
15 thinking is using the multi-settlement approaches, so
16 instead of you just settle on the first binding interval and
17 then one thing to address the dispatch incentive issue is
18 you settle all the intervals in your multi-period problem.
19 And I think one of the advantages of this is sort of reduce
20 the risk exposure for the market participant, because once
21 the participants are locked into a forward price, and then
22 as you keep on running this multi-period dispatch, and then
23 every time when you settle the market the participants are
24 only settled on the deviation from the previous settlement.

25 So as a result the participants risk exposure to

1 the uncertainty, forecast uncertainty is only limited to the
2 deviation of the settlement. So besides the incentive
3 compatibility advantage, we feel multi-settlements has also
4 reduces this participant risk exposure advantage. But as
5 George mentioned early I think the biggest challenge in
6 implementing the multi-settlement in production is it just
7 becomes very complicated to do implementation because there
8 are so many settlements you have to bind every time.

9 So it's a little challenge to actually realize in
10 ISO software, and so and also I think another question is
11 regarding the look ahead horizon right? So California ISO
12 and New York ISO has adopted multi-period dispatch problem
13 which I think is helpful for their system, and however
14 there's always a trade-off.

15 You would always like to look ahead a little more
16 because in the system there are always some resources needs
17 more than two or four hours look ahead horizon to properly
18 dispatch them, however the longer you look ahead, the
19 problem size becomes bigger.

20 And so ISO New England also has this research
21 work that we sort of considering a coordinated multi-period
22 dispatch approach. So in essence we can try to keep the
23 small dispatch problem size, trying to shut off a limited
24 computational burden, but while keeping the size small, we
25 wanted to introduce some information from future look ahead

1 horizons into the current short look ahead dispatch horizon.

2 So in this way sort of we want to sort of have a
3 smarter, better informed, short dispatch decision, and on
4 the other hand we can also incorporate some estimated
5 opportunity costs, and into the pricing problems so that
6 when we have a dispatch solution to the resource, the
7 pricing itself also supports the dispatch solution which
8 trying to avoid some dispatch incentive issues. Thank you.

9 MR. DAUTEL: Thank you Jinye. We'll go to Arne
10 Olson. Mr. Olson go ahead. I think after this we'll go to
11 another question just to make sure we get through the other
12 thoughts also, but Arne you're next and go ahead.

13 MR. OLSON: And great thank you. Yeah I just
14 wanted to I guess empathize and reiterate the need to start
15 thinking about multi-settlement periods, especially as we
16 move more and more towards a future in which many of these
17 products are being provided by energy storage, and the cost
18 that energy storage has for providing these services really
19 is fully encompassed by its opportunity to you know buy low
20 and sell high over the periods in which the market is
21 settling.

22 So this will increasingly trend towards a problem
23 of managing the state of charge of your aggregate storage
24 fleet, ensuring that you have both enough downward and
25 upward capability to be able to absorb real time

1 fluctuations. But at the same time I want to maybe make
2 another little pitch for the potential to solve some of this
3 through a reserve product.

4 I think what we have now with an optimization
5 that encompasses multiple periods, but a binding settlement
6 only for the first of those multiple periods is a bit of
7 muddying of the marginal cost signal. We don't have a clear
8 signal for the marginal cost of serving additional load
9 during the current interval. We don't have a clear signal
10 for the marginal cost of serving load over multiple
11 intervals, at least not one that we're settling on.

12 So a reserve product, in addition to the short
13 interval energy price can allow the short interval energy
14 price to reflect more precisely the marginal cost of an
15 additional increment of load in that interval, but also in
16 the cost of uncertainty, and the cost of the need to reserve
17 capability to manage net load variability and uncertainty
18 over those future intervals.

19 So those really are separate cost functions, cost
20 drivers and then that way they would be settled and the
21 costs of those would be seen and felt by the market
22 separately.

23 MR. DAUTEL: Great, thank you very much. I might
24 just pause before we move on to the next question to see if
25 there's any raised hands from Chairman Glick or any of the

1 Commissioners, otherwise we'll move on. I'll just pause a
2 second. Okay. Noting that then we will move on. Alex will
3 take the next question, thank you.

4 MR. SMITH: Thanks so much Tom. Panelists our
5 prior questions that concern general modeling enhancements
6 for commitment and dispatch. For this question we'd like to
7 move to modeling enhancements related to specific technology
8 types. To what extent can software enhancements for modeling
9 specifically technology types, such as multi-configuration
10 modeling of combined cycle units, or advanced modeling of
11 storage resources, and others, help address the system's
12 changing operational needs?

13 Please raise your hand to respond to this
14 question. I see a hand up from George Angelidis, please go
15 ahead.

16 DR. ANGELIDIS: Yes thank you. So there are two
17 resources that require specialized modeling. And you
18 mentioned the combined cycle, and it's a little bit more
19 general. It's resources that they have multiple states of
20 operation. Because each state has its own constraints, its
21 own ramp capabilities, its own capacity range, and even its
22 own cost. The cost is different for operating in different
23 states.

24 Having a multi-state model in the market is
25 extremely useful to capture the characteristics of the

1 resource so that you have an optimal dispatch that both
2 reflects the cost of operating the resource, and its
3 capabilities so that you have a feasible dispatch, and then
4 your market can optimally position these reserves in the
5 best state that can address the system conditions you can
6 see in the market horizon. It is a model that is
7 challenging from a performance point of view because you
8 have a lot of binary variables that are introduced in the
9 problem.

10 Each state has its own binary status, and you
11 know, as you know when you increase the binary variables in
12 your problem it becomes harder to solve, so it's always a
13 challenge to introduce multi-state models, particularly if
14 the states are many. There are some combined cycle
15 resources that they have multiple states, many states, and
16 these are the most difficult to solve.

17 So that's about the combined cycle and the
18 multi-state. I believe it's important to have a model that
19 addresses this in the market, and the other resource is the
20 energy storage resource. Energy storage resources they have
21 up to two states charging and discharging, and you may need
22 to separate them and treat them differently in your market
23 because there is usually around the efficiency that is less
24 than 100 percent when you model this.

25 Usually the charging state, the energy that you

1 put in the reserves, some of it is not available to be
2 dispatched because it's energy that is lost. So that's not
3 too complicated, that you have binary introduced for storage
4 resources. I think the more complicated part that requires
5 a lot of work is that your traditional generating resource
6 model is not sufficient to capture the characteristics of
7 the costs of an energy storage resource.

8 First of all for the characteristics it has
9 special constraints that you don't see in other resources
10 like energy limit constraints, which basically require you
11 to in the market to calculate and monitor the state of
12 charge in the device so that when you dispatch optimally
13 this device you take into account that the state of the
14 charge is there to meet the schedule, and also if there were
15 ancillary services, there is energy in the device to provide
16 this ancillary service, so you have additional energy type
17 constraints in your problem. That's one thing.

18 The other thing is that the cost characteristics,
19 the operation of the energy storage resource is different
20 than the cost characteristic of a regular generating
21 resource. The cost is not really a function of the power
22 output is more related to how much storage, how much energy
23 stored in the resource. It's more for function of the state
24 of charge.

25 We know that batteries that are you know almost

1 fully charged, or almost depleted, so at the edge of the
2 state of charge range, they have a higher cost of operation.
3 So you can only capture this if you have a different cost
4 model for this resource. You have to develop something
5 specific for energy storage resources.

6 So there's still research that is going on on
7 this, and we have been looking at potential models for
8 storage reserves in California ISO we have several
9 initiatives coming up on this, but it's definitely something
10 we have to look for in the future, because more and more of
11 these resources become available and penetrate the system,
12 so we have to have accurate models for them, thank you.

13 MR. SMITH: Thank you George. Next I'll call on
14 Congcong.

15 DR. WANG: Yeah. Overall the enhanced resource
16 modeling to help exert more flexibility from those
17 resources. The past couple years MISO developed an enhanced
18 combined cycle modeling and accessed 14 to 34 million
19 production cost savings, really by allowing those resources
20 to more fully and accurately offer their capabilities and
21 cost into the market, because the combined cycle resources
22 their maximum minimum operating limits, their ramp rates,
23 all vary by configuration, and they're operating mode or
24 transitioning on that corner.

25 So the traditional model restricts combined cycle

1 owners to offer those variations, and the configuration
2 based model more actually captures these capabilities. And
3 similarly, our enhanced combined cycle model could be
4 generalized, potentially expanded to other resources like
5 storage, a hybrid standard for example.

6 Like George commented, and allow RTO to use their
7 look ahead software to better optimize their energy limits,
8 and allow better use of these resources when most needed.
9 Lastly, I wanted to note another source of flexibility, the
10 demand and response resource. MISO currently has about 14
11 gigawatt load modified resources, that we can only access
12 during an emergency, so if we can better model these
13 resources to access them through markets, that will really
14 allow us like more ability of flexibility.

15 MR. SMITH: Thank you Congcong. Next Erik,
16 please go ahead.

17 DR. ELA: Yeah, yeah, just to add on to some of
18 the comments so far on this topic. You know I think
19 everyone has kind of said, and I agree in theory you know
20 adding granularity to the characteristics of different
21 technologies and how they interface with the market has
22 economic and reliability benefits.

23 And I think it's useful to say that we discovered
24 this initially when we introduced unit commitment and three
25 part bidding. That is a unique participation model for you

1 know traditional technologies, but that's you know, a unique
2 participation model.

3 Europe has gone a different way. They don't
4 include three part bidding for the most part. So you know
5 we sort of discovered that, and I think we continue to, and
6 it's important to say that you know while that looks very
7 well in theory, and of course we see the benefits from a
8 system perspective, there's always reasons why you know
9 maybe the granularity, the detailed model is not preferred,
10 and we hear that sometimes from the community, and some of
11 the hybrid and storage participation models, you know which
12 are analogous to the combined cycle you know configuration
13 base model versus a simpler thermal model.

14 So I think it's important to recognize that we
15 can capture a lot of these characteristics and constraints
16 of the technology within the market clearing models, but we
17 cannot capture them all, and you know including non-linear
18 characteristics, other sort of internal characteristics that
19 we need to allow for the assets to be able to you know have
20 that flexibility to reflect those into their bids as well.

21 You know I wanted to close on this question as
22 you know I think the challenge that I think we all
23 recognize, and I think the ISOs on the panel would certainly
24 agree to is that it does take time and money to develop
25 these capabilities for each technology, and again the

1 software may not be able to handle some of these complex
2 models.

3 So it comes down to how do you prioritize you
4 know whether to focus on advanced combined cycle models
5 versus advanced hybrid or storage models, or advanced demand
6 response, and you know and so forth. And that's a
7 challenging assessment, the thing that I think we've been
8 thinking about a lot is that you know a lot of times there
9 is some cost benefit assessments that you can do to see you
10 know who is going to be using this, you know, how much
11 benefits would we see in terms of economic efficiency, or
12 reliability?

13 Are they required? And sort of use that to help
14 prioritize and you know think through you know what's the
15 cost of developing the software. What's the cost of the
16 stakeholder discussions to get to a point where everyone
17 agrees upon, and how many people will use this? How many
18 market participants would use this, and sort of you know
19 thinking about those prioritization processes because you
20 know it's you know we always hear complaints of oh, why
21 aren't we doing this, why aren't we doing that, and we
22 should recognize that it does cost money, and sometimes we
23 build some fancy models that aren't used, or may not have
24 the benefits that are realized.

25 So it's important to recognize the benefits are

1 there in these granular technology specific models, but you
2 know we need to think about who's using them, the priority
3 of which ones will provide the most benefit in terms of
4 their usage, and also the computational issues. We don't
5 want to build something that eventually we won't be able to
6 solve our models in time, so yeah thank you.

7 MR. SMITH: Thanks so much Erik. Next I'll call
8 on Jinye, please go ahead.

9 DR. ZHAO: Thank you. I just want to add a
10 comment regarding the energy storage models. So currently
11 in ISO New England in the day ahead commitments, as well as
12 intraday commitments, we sort of use so-called
13 self-management of our state of charge model for energy
14 storage, so meaning these commitment models really don't
15 track the state of charge for energy storage, depending on
16 their cleared charging discharge solutions.

17 So, so far it has been working well in ISO New
18 England, and however the concern is if in the future there's
19 a large influx of storage resources entering to the market,
20 so we are talking about more than several megawatts of
21 storage into the market. So it's become a little scary that
22 the commitment software don't have a very good visibility of
23 storage state of charge.

24 So this is sort of a call for we need to develop,
25 enhance the current storage model to have an ISO management

1 of SOC type of model for storage in addition to the current
2 self-management of state of charge model. So Erik mentioned
3 earlier we need to start off with a trade-off which kind of
4 enhancements we should do first.

5 I feel it all depends on each region's resource
6 mix, and then depending I think for New England, depending
7 on the penetration of storage resources in the system maybe
8 we are forced to sort of have to develop some proper SOC
9 management model for storage resources. Thank you.

10 MR. SMITH: Thank you so much Jinye. Next I'll
11 call on Arne. Please go ahead.

12 MR. OLSON: And just to respond very briefly to
13 that last comment. I mean again as I said earlier I think
14 this whole problem is going to evolve very quickly towards
15 management of state of charge, as storage provides a larger
16 and larger proportion of these types of flexibility
17 reserves, or of you know ability to meet net load
18 variability over various time scales.

19 I think it's really important to incorporate
20 state of charge into these models as quickly as possible,
21 and I think we'll see storage development happen maybe more
22 quickly than people might have expected, at least I would
23 have said so before some of the supply chain issues that
24 have emerged recently.

25 The last comment I'll make on this is that I

1 think we'll see a proliferation of various different
2 configurations that we should also be prepared for. So we
3 are already seeing lots and lots of storage, tent storage,
4 hybrid projects in the southwest, and those have different
5 amounts or different ratios of storage capacity to solar
6 capacity, and different ratios of storage duration.

7 We're seeing hybrid storage and thermal
8 resources, so we'll need to make sure that there's a way to
9 have those reflected in the market models and optimized and
10 being made available for the system. Thank you.

11 MR. SMITH: Thank you so much Arne. I'll call on
12 Congcong again. Please go ahead.

13 DR. WANG: Thanks Alex. I want to follow-up with
14 Erik's comment on the challenges and really emphasize the
15 computational challenge when we enhance the resource
16 modeling. That's something we experienced and when we
17 developed the combined cycle model, we have to limit the
18 number of configurations because of computational
19 challenge.

20 And also like although we see very promising
21 benefits from the optimizing the state of charge pumped
22 storage resource through the research, computational
23 challenge is another difficulty. That's why today like in
24 New England, with our energy storage resource model market
25 participants, many things are still charged by themselves,

1 so that's really an important piece we need to look at on
2 the computational side. Thank you.

3 MR. SMITH: Thank you Congcong. I'll now ask a
4 follow-up question. Many of you have mentioned the
5 challenges of implementing a lot of these software
6 solutions, and a few of you have commented on the costs of
7 those solutions. We've also heard in other panels about
8 there being a difference between where the software is now,
9 and where we'd like it to be, and the costs associated with
10 getting it there.

11 And would any of you like to comment on the cost
12 to introduce some of these enhancements, especially in light
13 of where current RTO and ISO software stands, and the
14 industry conditions around software upgrades, getting
15 contractors to perform the software upgrades, et cetera.
16 Any comments on the theme of the cost of some. George I see
17 you have your hand raised. Please go ahead.

18 DR. ANGELIDIS: So although we cannot give you
19 comments about the costs specifically, but you know it's one
20 of the market enhancements that you have to perform to
21 improve your markets, and it's always something that you can
22 do a lot that you can do to improve your markets.

23 There's no shortage of enhancements you can do in
24 the market. You just have to prioritize everything based on
25 importance, what benefit versus cost analysis you can do.

1 And how you can provide a better service to your market
2 participants and to your operators.

3 And in our case for reliability functions because
4 we're also the reliability coordinator. So all of this will
5 have to come together, and I think the cost, unless it is
6 prohibitive, it's justified if there is sufficient benefit
7 to it, and it's all up to really ranking your projects and
8 placing the proper significance based on the outcome that
9 you expect to have.

10 So I think cost, unless it is really prohibitive,
11 it's a secondary consideration. We're always struggling
12 having the right priority among the initiatives, thank you.

13 MR. SMITH: Thank you George. Erik I see your
14 hand raised, please go ahead.

15 DR. ELA: Yeah. I just I think you know
16 obviously that cost is going to differ based on software
17 vendor, and everything else. The one thing I would
18 definitely encourage is that when doing any of these cost
19 benefit analysis on an advanced participation model, as an
20 example, or any sort of software change I guess, maybe in
21 particular to the technology ones, is to have some sense of
22 what the participation might be.

23 So you know of course we can look at you know
24 throwing lots of you know these technologies on the system,
25 and look, we'll save millions of dollars. You know getting

1 some feedback from potential market participants, and
2 existing market participants. Will you use this? Will you
3 participate? And factor that in to what the benefits are,
4 and then you know I think that can help in terms of the
5 benefit side, and then the cost side you know of course can
6 be evaluated with the software vendor.

7 And also stakeholder time, because that's not
8 something to be ignored is that takes a lot of time from
9 stakeholders and the ISO, and the analysis and so forth.

10 MR. SMITH: Thank you so much Erik. In the
11 interest of time we'll now move to our final question, and
12 I'll turn it to Tom to ask that question. Tom please go
13 ahead.

14 MR. DAUTEL: Thanks Alex. The final question,
15 can multi-day ahead markets or hour-ahead markets help
16 address operational flexibility needs in RTOs and ISOs?
17 What's the objective of such approaches, and are there
18 potential drawbacks? Okay. I see George Angelidis go
19 ahead.

20 DR. ANGELIDIS: Thank you. So I think we
21 provided I mean every panelist has provided sufficient
22 justification here for hour ahead markets, multi-interval
23 markets in real time. I'm not going to comment on that
24 anymore, but on the multi-day ahead yeah, I have some
25 comments on that. So from a market perspective, a multi day

1 ahead setup is really useful only if you have what we call
2 very long start resources in your system.

3 So it's really ISO specific because if you have
4 resources that take more than a day to start up from a cold
5 state, you cannot really optimize them with a 24 hour
6 market. So extending the market for future days will
7 provide you the opportunity to commit this optimally.
8 Now, you have to weigh in the benefit of that versus the
9 implementation cost and the performance cost of having
10 additional days in your day ahead market horizon, and it
11 also depends, as I said earlier, to how much capacity you
12 have in your system in these resources, with, that need this
13 market treatment, and there may be alternative ways to
14 commit these resources through an out of market process.

15 That's not the best case, but if you only have a
16 few resources like that maybe it's a good compromise. Now
17 this is from the market prospective. Now there are other
18 reasons why you may want to run a multi-day market, and that
19 is reliability. You may use the advisory subs for the
20 additional days to do a reliability assessment of needs for
21 your system.

22 In terms of coordinating outages if your system
23 is stressed for a future day, you may need to postpone
24 outages, so there is some office coordination work. You may
25 run a reliability analysis with contingency analysis to

1 identify weaknesses that your system may experience in
2 future dates that you need some time to work on.

3 So these are functions you know that relate
4 mostly with reliability coordinator, which you know in our
5 case in the California ISO we're actually using the results
6 of the market to run reliability coordinator functions and
7 assessments. There's operations engineering groups, that
8 they look at the results for future days, and then perform
9 analysis and studies. So from that perspective they're
10 useful.

11 From a market perspective again it's really
12 dependent on how many very long start resources you have.
13 So you have to weigh in everything. Thank you.

14 MR. DAUTEL: Thank you. I think Erik Ela was
15 next. Erik, go ahead.

16 DR. ELA: Yeah I have just kind of an interesting
17 comment. We had a panel session maybe a year ago with some
18 ISOs that was called 15 Minute Day Ahead Markets versus
19 Multi-Day Day Ahead Markets, which is the one that's better,
20 or something like that. And there was just kind of an
21 interesting you know perspective.

22 And we got in some good conversations there. But
23 I thought you know one of the things that I try to do that I
24 thought I would just mention for this discussion is I use
25 this exercise where I think about you know if you had

1 infinite computing power, and infinite data availability,
2 what would your market model look like? And you know it
3 might be you'd have one second intervals, you know, with a
4 look ahead of a week or a month ahead.

5 And multiple scenarios and everything else, but
6 then you sort of look at that and say okay, you know I don't
7 have all this data. I don't have all this computational
8 power. Which of these things should I take away that you
9 know provides the least benefit, but maybe has the greatest,
10 and doesn't have the data to support it, or will have the
11 greatest impact on you know computation.

12 I sort of keeping taking these things away to see
13 which you know will lead to the greatest benefits. It's
14 almost like solving you know, getting your optimization
15 problem, you have to do an optimization problem and say
16 what's the most value I can get subject to the fact that I
17 have you know finite data, finite computation time.

18 So that was just nothing specific towards the
19 multi-day ahead and hour ahead, but I just wanted to provide
20 that quick comment as kind of a useful exercise that helps
21 us sometimes.

22 MR. DAUTEL: Great, thanks. That's very meta.
23 You have to optimize your optimization. Okay. I think
24 Congcong was next. Go ahead.

25 DR. WANG: Yeah, so MISO currently doesn't have a

1 multi-day ahead market or hours ahead market. I was
2 actually waiting for George to comment on hours ahead
3 market. But we are actually looking at multi-day ahead
4 market, so I'll add more on top of what George said.

5 The objective of a market is really to better
6 procure resource availability and provide better market
7 signals for resource to schedule their outage, procure fuel,
8 or even schedule extra transactions, especially important
9 for an RTO like us that is currently supplying margin, and
10 the bigger long needed units.

11 However I want to note a few challenges we are
12 identifying. The computational complexity is the big one,
13 given the longer look ahead horizon. Then the resource
14 offer accuracy, and also other input quality also is
15 challenging, like even the topology of transmission
16 constraints. They are all affecting the quality of the
17 market outcomes.

18 And finally, the market mechanism needs to be
19 carefully defined so that the market can help procure and
20 commit long lead units, but also we maintain that
21 flexibility with the shorter lead units, so that we can wait
22 until getting closer to real time to schedule those units
23 and uncertainty is reduce.

24 So before we get to a multi-day-ahead market as a
25 pre-step we currently provide the market the operating

1 margin forecasts to our market participants, really to
2 provide them the better visibility of system conditions, and
3 also help their scheduling of their outage and other
4 planning. Thank you.

5 MR. DAUTEL: Thank you very much Congcong. Arne
6 Olson is next. Go ahead. I think you're muted Arne.

7 MR. OLSON: Thank you. Just very quickly there
8 is already a lot of information out there to the market to
9 help inform multiple day ahead commitment decisions, and in
10 terms of the bilateral transactions that are you know
11 probably on ICE or in some of the other platforms.

12 I would also just note that we're moving more and
13 more towards a world in which there are fewer of these three
14 day ahead start type of machines, and more and more machines
15 that can start very, very quickly. And then the last point
16 I wanted to make is that I think it seems to me that some of
17 these multi-day initiatives are as what George said earlier,
18 really being more of the reliability problem than a market
19 efficiency problem.

20 And I want to make sure that we keep those two
21 problems separate in our mind. In particular in ISO New
22 England it seems that the fuel security issue is really to
23 me more of a resource adequacy issue that they have just had
24 difficulty addressing through their forward capacity market,
25 and so perhaps the multi day head fuel security initiative

1 is a way to address that sort of lingering issue coming out
2 of the capacity construct.

3 But it is as George said, a reliability issue,
4 and less of a market efficiency issue.

5 MR. DAUTEL: Great thanks. So George Angelidis
6 is next, go ahead.

7 MR. ANGELIDIS: Thank you. I just wanted to
8 respond to Congcong. I guess she was expecting some
9 comments on the hour ahead market, and I didn't comment on
10 that. So yes, the hour ahead market is important as you
11 know we all said for positioning resources, but there was
12 something special about the hour ahead market, and this is
13 intertie schedules.

14 In the California ISO we do have intertie bids,
15 intertie resources participating in our market. And
16 although this can participate hourly and in 15 minute
17 intervals, in our hour ahead market observes 15 minute
18 intervals in the hour. So you can have a different schedule
19 for each 15 minute interval of the coming hour.

20 Most of our intertie resource participation right
21 now is hourly, so they need to be prescheduled hourly, so
22 the hour ahead market has the ability to schedule intertie
23 resources before the hour so that they can tag, but T minus
24 20 is the latest time that they can tag.

25 And then the real time markets that ran for that

1 hour after that they keep those intertie schedules fixed for
2 the entire hour. So this is one function that the hour
3 ahead market can provide. So you can continue optimizing
4 internal resources, but your interties are already fixed by
5 some hour ahead market that you ran earlier. Thank you.

6 MR. DAUTEL: Thank you very much. Okay. With an
7 eye on the time I may turn it back to Alex to bring this
8 home.

9 MR. SMITH: Thanks very much Tom. I'll turn to
10 the Chairman and Commissioners for any closing remarks they
11 have first. Chairman Glick any closing remarks?

12 CHAIRMAN GLICK: I don't Alex, I just again want
13 to thank you all, but also thank the panelists for the good
14 discussion today.

15 MR. SMITH: Thank you very much Mr. Chairman.
16 Commissioner Christie I see you've rejoined. Do you have
17 any closing remarks? You might be on mute Commissioner
18 Christie if you're talking I couldn't hear you. Okay. Well
19 with that thank you all for this excellent discussion.
20 Thank you to our panelists, and Chairman Glick, Commissioner
21 Clements, and Commissioner Christie for joining us. We're
22 going to take a short break and regroup at 3:15 p.m. to
23 start Panel 4. Panel 3 panelists please sign out of the
24 Webex meeting.

25 If you'd like to continue watching the conference

1 you may use the public webcast link on the conference event
2 page at FERC.gov. Commissioners please stay signed in to
3 Webex over the break, but mute your microphones and turn off
4 your cameras until we resume.

5 Panelists for Panel 4 please sign into Webex.

6 Thank you again everyone.

7 (Break 3:03 p.m. - 3:14 p.m.)

8 Panel 4: Out-of-Market Operator Actions Used to Manage Net
9 Load Variability and Uncertainty

10 MR. HELLRICH-DAWSON: Hello everybody welcome
11 back. Thanks for joining us again for our final panel
12 today. My name is Bob Hellrich-Dawson. I'm from the FERC's
13 Office of Energy Market Regulation, and I'm going to be
14 joined by my colleague Emma Nicholson from the Policy
15 Office.

16 In this panel we're going to discuss out of
17 market operator actions that ISO and RTO operators currently
18 take to address net load variability and uncertainty, and
19 the impact these actions have on prices and incentives for
20 resources to submit offers that increase the operational
21 flexibility available to the operators.

22 These out of market operator actions include unit
23 commitments, relaxation of modeled constraints, load
24 forecast adjustments, and other actions that alter
25 operations away from the calculations made by market

1 software. A staff white paper issued last month on this
2 topic noted, ISOs such as CAISO and SPP have stated that out
3 of market operator actions can undermine price formation.

4 Let me take a minute to remind all of our
5 participants to refrain from discussing the specific details
6 of the pending contested proceedings listed in the
7 supplemental notices issued on September 3, September 12,
8 and October 7, and to refrain from any discussion of other
9 pending contested proceedings.

10 If anyone does happen to engage in such
11 discussion my colleague Adam Eldean from the Office of
12 General Counsel will interrupt us and ask the speaker to
13 avoid that topic. So thanks everybody for joining us today.

14 I want to start our first question aimed at our
15 ISO panelists, and if you could please describe what kinds
16 of out of market operator actions your ISO currently takes
17 to address net load variability and why. Have these actions
18 changed or increased in recent years? And if so, what has
19 driven the increase?

20 Let me first turn to Laura Rauch who is the
21 Director of Settlements at the Midcontinent Independent
22 System Operator, Laura?

23 MS. RAUCH: Good afternoon and thank you to the
24 Commission for today's conference and a chance to join the
25 discussion. At MISO we do value and appreciate the power of

1 market incentives to support resilience and reliability of
2 the grid. A focus of our market design team is to continue
3 to enhance the market products available to support the
4 needs of our operators to keep the lights on and maintain
5 system reliability.

6 But at the end of the day out of markets, and
7 especially the use of out of market procedures as we
8 approach emergency conditions, and under emergency
9 conditions, are a critical tool for operators to manage
10 through the uncertainty discussed in earlier panels as
11 managed day to day reliability.

12 These out of market tools we have found have
13 limitations that should be addressed for market
14 efficiencies. They have impacts on efficient pricing, a
15 lack of transparency when the resources themselves are
16 deployed, and procedures which by their out of market and
17 last resort nature create inefficiencies.

18 One of the areas that we've experienced as we
19 have seen increasing use of emergency procedures, and
20 emergency out of market procedures, is not that these out of
21 market resources have no value. In fact, we found these
22 resources are a key part of resource adequacy plans for our
23 membership.

24 But the combinations of uncertainties which we've
25 discussed through this day around load and generation, long

1 lead times for many resources including emergency only out
2 of market resources, and a lack of transparency that we've
3 seen in out of market resources where we don't have the five
4 minute updates on status, and tend to compound coming
5 together with bad case scenarios at the worst possible time.

6 At best these actions lead towards overcommitment
7 of resources and we don't have perfect transparency or tools
8 to precisely dispatch these resources over the long
9 durations that could be required, increasing those market
10 efficiencies that I discussed earlier, and causing us to
11 inefficiently deploy use limited resources.

12 As asked in the question these inefficiencies are
13 becoming more concerning as the number of emergency only
14 resources that are on the MISO footprint, both in the sheer
15 magnitude, and the share of the reserve margin which we rely
16 on to meet those needs.

17 We've also seen an increase in emergency only
18 resources, or emergency only events, which cause us to rely
19 on these more. Ultimately, the ideal state at MISO would be
20 to design and modify markets to remove barriers and create
21 incentives for emergency only resources such as load
22 modifying resources, or LMR, and in particular long lead
23 emergency resources to be committed and dispatched through
24 market operations.

25 This paradigm enhances market efficiencies

1 through greater transparency, and it still allows us to
2 recognize the value of resources which can respond quickly
3 and are by necessity located behind those emergency
4 procedures. With that I'll thank you for the time today and
5 look forward to the discussion.

6 MR. HELLRICH-DAWSON: Thank you Laura. Let me
7 turn next to Chris Bossard, who is the Shift Manager for
8 Real-Time Operations in the California ISO. Chris go ahead.

9 MR. BOSSARD: Hi Bob. Thank you for the intro.
10 As Bob said I am a Shift Manager at California ISO. I've
11 been at the ISO and in operations for about 18 years, and I
12 can speak directly to some of the manual actions that
13 operators take. We do some of these things on a daily
14 basis.

15 I could talk about some of the most common manual
16 actions that we take. I probably would start in the day
17 ahead timeframe. The day ahead process, day ahead market
18 closes around 1300 time for the following day. We do in
19 real time we do an operations planning analysis of the
20 results. We have engineers that evaluate the results, and
21 they look at the next force contingencies, coupled with all
22 the scheduled outages and forced outages for the following
23 day.

24 And if we see any issues as far as exceedances on
25 separate system operating limits, based on the day ahead

1 results, then we would manually commit resources as needed,
2 or decommit resources. The ISO, California ISO is currently
3 working on a more automated process for this. It's called
4 the day ahead reliability tool it looks at a more granular
5 15 minute timeframe for day ahead.

6 Currently we have it's an hourly market, and on a
7 15 minute basis we'd be able to capture more of the
8 volatility and ramping changes that could occur that an
9 hourly market doesn't capture. In real time we routinely
10 use load forecast adjustments to balance the system. That's
11 kind of our tool to keep our ACE, our area control error,
12 and frequency within limits.

13 If we have say a solo ramp off that's unforeseen
14 besides AGC units that are on regulation, our AGC that will
15 automatically respond, our manual action in that case is to
16 change the load forecast up or down to respond to something
17 like a solar deviation.

18 Also if we had fires out here in California we
19 have fires frequently. It appears that climate change is
20 rearing its ugly head, and we're having drier, hotter
21 conditions out here, so we have fires that develop around
22 our import lines that interrupt our import capabilities.

23 So in responding to something in real time we
24 might do a load forecast adjustment in that case. There's
25 some more reasons in real time we may change generation

1 commitments that are from the day ahead results, or from our
2 real time results that are generated on a 15 minute basis.

3 For example, if the 15 minute market produced a
4 shutdown of the resource, it was economic, but our operators
5 identified a reliability need to keep that unit on, they
6 would block or change that commitment from a reliability
7 standpoint.

8 And then kind of a final thing I mentioned is
9 that we routinely also change the output of generation,
10 generators, individual generators mainly, for similar
11 reasons, for reliability purposes if there is heavy flow on
12 a circuit that's not accurately represented in our market
13 model for whatever reason.

14 We may change the output of an individual
15 generator, or generators to unload a circuit in that case.
16 Similar with a fire, if we had a fire we may make kind of an
17 urgent emergency phone call to individual generators to
18 bring them online. They're outside of the market results.
19 So thank you for having me, and that's all I have.

20 MR. HELLRICH-DAWSON: All right thanks Chris.
21 It's a lot of great information. Let me turn to Yasser
22 Bahbaz who is the Manager of Reliability Coordination at
23 Southwest Power Pool, go ahead Yasser.

24 MR. BAHBAZ: Hey good afternoon. First, I want
25 to thank you and thank the Commission for hosting this

1 topic. I think this is an important topic. As you
2 mentioned SPP is involved in some of the filings to make
3 sure that SPP as a BA, and as an RC, that we ensure that the
4 reliability has what it needs, and we find ourselves and
5 especially after the recent winter event, the best way to go
6 about that is to make sure that there is market incentives.

7 That's the most straightforward way to make sure
8 and incentivize what you need. As SPP, we are a BA of 51
9 gigawatts of load with the capacity of wind of 30 gigawatts.
10 That's a fair bit, a fair amount of wind capacity renewable,
11 but 99 percent of it is wind.

12 And as a BA that I've seen 82 percent penetration
13 peak of wind. We do struggle with a fair amount of
14 uncertainty that we -- (internet dropped.)

15 MR. HELLRICH-DAWSON: Yasser we might have lost
16 you. Can you hear me?

17 MR. BAHBAZ: All right. I'm back. There we go
18 now. My phone drops every once in a while. Okay. So as a
19 BA that has high penetration levels of wind, we do struggle
20 with a fair amount of uncertainty considering the relative
21 amount of wind penetration that we have in our footprint,
22 and the size of the BA.

23 And we don't see that changing any time soon.
24 That probably is the case for a lot of entities, a lot of
25 regions in North America. The amount of generation and

1 interconnection request for wind and solar is increasing to
2 even larger amounts, and so we think this is an important
3 topic, and an important initiative that we need to have to
4 do.

5 So in fact SPP deploys what we call an
6 uncertainty response team that talks about basically on a
7 daily basis that looks at the amount of uncertainty that we
8 have, that we project to deal with. And then the bulk
9 responsibility of this team is to recommend some amount of
10 capacity of generation that needs to be online, whether it's
11 online or a quick start, or a quick state, or quick start
12 type units for the BA.

13 And these are all recommendations that are made
14 out of market, and that's because there is not -- we don't
15 have a product that specifically deals with uncertainty.
16 Uncertainty is basically any uncertainty that we may have in
17 the forecast for renewables, any uncertainty we have in the
18 forecast for the ramping of the wind we must deal with as BA
19 to make sure that we're reliable.

20 And so that is my perspective, considered an out
21 of market action. That's the first step for out of market
22 action I'll talk about here, and that has to do with unit
23 commitments. We'll commit units sometimes out of a study,
24 economically out of a study, but that's after we adjust the
25 forecast to make sure that we do have some capacity, some

1 excess capacity in our market coming out of the market to go
2 with this uncertainty in case the uncertainty does
3 materialize.

4 And in the cases when it doesn't materialize,
5 obviously the outcome of that is that those generators that
6 were committed may not have been needed, and that results in
7 price suppression and essentially those resources may need
8 to go through a make-whole payment, and that's the -- at
9 least from my perspective, to ensure price transparency in
10 the market.

11 Second type of manual out of market action that
12 we do take is what I'll call load offset and that's more in
13 the real time. So we do load offset and adjust our
14 obligation before real time, but we do it in real time also.
15 And that's another function of the type of generation that
16 we do have, the renewable generation we echo in real time,
17 and as an echo RTBM runs is 10 minutes ahead, so when you
18 get to RTBM and you echo in ten minutes pass when and if the
19 wind is changing you do have that lag of reflecting the wind
20 capacity, and that causes some volatility, especially when
21 the wind is coming up or going down.

22 And that essentially forces operators to make
23 sure that the BA is balancing and they do put in some
24 offsets in the system, and those offsets are needed.
25 They're not perfect, they often are not perfect because it

1 does require really proactive action and staying on top of
2 them, not to mention being accurate. And so that does --
3 that is a minimal operator action that we do take.

4 Last out of market action that we take is what we
5 call an out of merit energy, and this has to deal with we
6 can do this for various reasons, for the most part it's done
7 for congestion. If there is a volatility and a lot of the
8 time it is from the renewable generation, and RC's are not
9 comfortable with the amount of volatility that they're
10 seeing on the constraint.

11 They will issue an out of merit energy, and
12 that's essentially an operating instruction regardless of
13 economics. And that can result obviously that is directed
14 out of market type action. They'll do it, but often we do
15 stay on top of them to make sure that it's done once they
16 get in, that they get out of it fast because you know they
17 need to get to some sort of steady state, and get out of
18 those types of actions.

19 They also do that for non-dispatchable type
20 variable energy resources. We do have some of those, and
21 those are considered out of market actions that we do take.
22 So a fair amount there are various types of out of market
23 actions, most of them are to deal with uncertainty and a
24 lack there of a product for those uncertainties, and one way
25 SPP is addressing that is introducing market products that

1 we can declare an amount
2 of energy that we need for uncertainty, and make sure that
3 that product is compensated for generation that we may need
4 and commit in studies.

5 So looking forward to a good conversation and
6 hopefully I gave some high level introduction into what SPP
7 does.

8 MR. HELLRICH-DAWSON: Yeah that's great Yasser.
9 Thank you very much. Let me turn to a set of questions that
10 really are for all of the panelists here. What impacts do
11 out of market operator actions have on price formations in
12 the RTOs and the ISO ancillary services markets first? How
13 often do they occur?

14 And do you expect the impact is frequently
15 material? For instance, several ISOs have suggested that
16 out of market actions can inappropriately depress market
17 prices, like how often or how much does that happen.
18 Discuss in your own individual experiences and what you see
19 more generally in the markets in which you operate. That
20 would be great.

21 I'd like to give the other three panelists of
22 course a chance to talk first on this one, so let me start
23 with Liam Baker, who is the Vice president of Regulatory
24 Affairs at Eastern Generation. Liam.

25 MR. BAKER: Great. Can you hear me okay?

1 MR. HELLRICH-DAWSON: Yes.

2 MR. BAKER: Great. So a real quick intro.

3 Eastern Generation, we're owner operators of about 5,000
4 megawatts between New York City and PJM, and price impact.
5 So you know in a nutshell we see out of market pricing
6 impacts from PJM and New York.

7 As far as, and I can talk in more detail, but as
8 an owner the reduction in out of market, out of merit
9 actions take it impedes the ability for accurate price
10 formation right. And that's directly correlated with
11 sub-optimal market outcomes. And when you have sub-optimal
12 market outcomes I have less predictability, less stability,
13 and less reassurance that my investments in those assets
14 will have an opportunity to be rewarded.

15 Where we've seen a reduction in out of market,
16 out of merit actions, particularly in New York, they've done
17 a good job over the last 20 years, we've invested
18 accordingly. You know we've responded to reductions in out
19 of market because we've seen better price formation.

20 But in other markets in PJM they still have some
21 work to do as we know. But for us, I mean and I don't want
22 to hog up the mic, but for us really it's about where am I
23 willing to put my capital to work, and I'm willing to put
24 capital to work when I have a reasonable expectation that
25 prices I'm seeing in the market products I can provide are

1 being informed by something that is closer to you know
2 workful competition and not the actions of the system
3 operator.

4 MR. HELLRICH-DAWSON: Great, thank you Liam. Up
5 next let's have Noha Sidhom, the Chief Investment Officer of
6 Viribus Fund. You're also here on behalf of the Energy
7 Trading Institute. Thank you very much. Go ahead Noha.

8 MS. SIDHOM: Thanks for having me today. You
9 know out of market operator actions and load biasing,
10 they're harmful for both long-term and short-term efficiency
11 of the market. In the short-term these actions are often
12 okay the cost implications aren't known for several days.
13 And therefore the market responds, similar to kind of what
14 Liam said.

15 In the short-term it's muted, or there's
16 basically a lack of participation in the market because
17 there's too much uncertainty. And in the long-term it's
18 difficult to incentivize investment in infrastructure, and
19 research and development of new technology when those costs
20 are not transparent.

21 So from a reliability perspective these out of
22 market actions are often necessary, but there needs to be a
23 market mechanism to price these operator actions, and
24 provide that additional transparency. Operator actions must
25 be priced into the LMP and ancillary services, the creation

1 of products like imbalance, reserve product, in CAISO is a
2 step in the right direction.

3 The ORDC changes that are adopted in some
4 markets, and still in progress in others are also positive
5 steps. We also think a secondary reserve market where
6 reserves above the minimum reserves can be procured and
7 priced would also be beneficial, sort of what we've been
8 saying like LMP 2.0. There's also just more work to be done
9 in this area.

10 I think ancillary services are often overlooked,
11 and they're a critical tool in an operator's toolbox. I'm
12 really appreciative of how the Commission is focused here.
13 There are also a few pivots I think that the Commission can
14 make in short order to kind of get us some large expedient
15 solution.

16 You know for about the last decade there's been a
17 really strong focus on capacity markets, and as noted in the
18 March and May 2021 technical conferences, capacity markets
19 are great for resource adequacy, but they don't incentivize
20 necessary investment in new technologies, battery storage,
21 additional flexibility, so we really kind of need to
22 refocus.

23 And we also need you know price signals and
24 incentives for clean energy and a reliable grid kind of have
25 to work together, so I think some of that cost transparency,

1 very similar to what Liam was saying, you know, we're going
2 to put our dollars where we can see what's resulting in
3 those prices, including emission costs.

4 I know some of that is out of the Commission's
5 hands, but still something to be mindful of. Value of grid
6 services needed to manage the grid, and energy and ancillary
7 services have to be co-optimized in both the day ahead and
8 the real time markets.

9 We also really need to view reserves a little bit
10 differently, so our assessment shouldn't just be focused on
11 the single severe contingency, you know. I think that was
12 Arne on the last panel said you know it seems to be
13 reliability issues, and kind of hinted at a little bit of a
14 stronger focus, especially for the gas issues in the
15 capacity market, but really I think we need to be thinking
16 about all the uncertainty we've been talking about today --
17 renewable forecast errors, load forecast errors, and how do
18 we price in flexibility and those other attributes.

19 We also really need to increase coordination
20 between demand response at the LDC level, and the RTOs and
21 ISOs. State programs are often incentivized, very necessary
22 DR, and that's a significant benefit. But the ISO just sees
23 it as missing load.

24 And this could have the effect of depressing
25 prices when the ISO has called on additional resources. So

1 the impact is high out of market payments, that are
2 unhedgeable to load, and therefore result in higher prices
3 for the consumer. And the low real time prices, and the
4 lack of transparency about that response of DR.

5 So I think some of those like state and federal
6 coordination efforts that the Commission is starting to
7 undertake are a positive. In some markets we see a
8 significant out of market payment, and we don't have a
9 really robust day ahead market, so that's another thing that
10 I think it would really benefit the Commission to focus on
11 is making sure we have a robust day ahead market.

12 In MISO for example, as they started integrating
13 wind, virtual transactions were a great indicator of the
14 amount of wind that was going to show up. But in some
15 markets we're paying really significant uplift, and as a
16 result you're not getting that robust day ahead signal from
17 the competitive market. The same is true in SPP.

18 And then while New York has done many things
19 well, they're still zonal on their day ahead market, which
20 really doesn't allow for that really granular price signal
21 to the market. And also then ensuring you have a robust
22 forward curve, and I think FTRs are also a key product to
23 this transition. You know London Economics recently did a
24 study for PJM, and one of the things that they found was
25 between 2017 and 2019, the majority of the combined cycle

1 units that came on as part of their financial arrangements
2 utilized FTRs.

3 So really you have to have if you want to be in
4 this market, efficiency and maintaining reliability and
5 investment in R&D you have to have a good short-term price
6 signal, transparent prices, and a good long-term price
7 signal. I look forward to the rest of the session today.

8 MR. HELLRICH-DAWSON: All right thanks Noha. Let
9 me turn now to Bill Fields, who is the Deputy People's
10 Counsel for Maryland's Office of People's Counsel. Go
11 ahead, thanks.

12 MR. FIELDS: Thank you. Thank you to the
13 Chairman, Commissioners, and staff for the opportunity to be
14 on this panel, and for reaching out to customer groups to be
15 included in this technical conference. I'm Bill Fields, and
16 I'm Deputy People's Counsel with the Maryland Office of
17 People's Counsel.

18 My office is active in CAPS, the consumer
19 advocates of PJM states, although today I will be speaking
20 just for my office. CAPS is certainly very helpful in
21 getting an understanding of issues like the subjects in this
22 panel, although CAPS would have to go to another level to be
23 truly able to be versed in the technical aspects of this
24 discussion, so my comments today will have to be higher
25 level, but hopefully will be helpful.

1 Many retail customers are hedged for the rates
2 they pay month to month, although in retail choice states
3 like Maryland, there are policy initiatives for customers,
4 including residential customers to pay variable prices that
5 reflect short-term wholesale electricity costs. As we've
6 seen recently in Texas, that can be very risky for
7 customers.

8 In Maryland, many retail choice customers paid
9 monthly variable prices which can reflect price spikes in
10 short-term wholesale markets. Whether the retail customer
11 is hedged or not, unnecessarily high wholesale costs will
12 still have an adverse effect on customers. For the most
13 part retail customers see costs such as uplift costs as part
14 of the aggregate of all markets as they show up in their
15 bill.

16 So any response to those, having those costs
17 should create efficiencies in total to ensure that there is
18 a benefit to customers. In other words looking at this
19 issue in a small context as sort of an issue by issue basis
20 may lose the forest for the trees in that you're trying to
21 solve one maybe small problem, but creating larger costs in
22 total.

23 So that should be carefully considered in any
24 proposals where we hear about pricing operator actions into
25 the market. I think that will be all for an initial

1 statement, and look forward to the rest of the discussion,
2 thank you.

3 MR. HELLRICH-DAWSON: Thank you Bill, thanks
4 everybody. Let me take a moment here if anybody has any
5 responses to what we've heard so far. Go ahead and raise
6 your hand and let's see if we can take you in turn. All
7 right. Laura it looks like you're the first one. Go ahead.

8 MS. RAUCH: I think I would just repeat what has
9 been said. From the MISO perspective we have seen that out
10 of market actions, including some described by our peers can
11 lead to price suppression. Not surprisingly our independent
12 market monitor has noticed that as well, and so we've looked
13 at how do we enhance scarcity pricing based on our
14 evaluation, based on his recommendations. Some of these
15 things are exactly what was discussed looking at the
16 operation reserve demand curve, what is the appropriate
17 value of lost load, and loss of load probability?

18 Recently we've done some changes to have more
19 administrative options to go and make sure that when we do
20 some of these out of market activities such as implementing
21 load modifying resources, we're valuing at least those
22 megawatts in a way that is reflective of market value, so
23 creating emergency offer floors to avoid price suppression
24 when we have the new megawatts from LMRs enter our markets.

25 Also looking at revisions to fast start resources

1 to define what is fast start are crucial, both based on out
2 of market actions, and also because some of these out of
3 market actions require several hours of lead time. So
4 making sure that those mesh together is important.
5 Administrative floors may not be our end goal, in fact we
6 are still looking at this, but it is an example of how we
7 need to look very carefully at what are the tools, and make
8 sure that our tools maintain operational reliability end up
9 supporting market efficiency as well.

10 MR. HELLRICH-DAWSON: Thanks Laura. Noha it
11 looks like your hand is up. Why don't you go ahead.

12 MS. SIDHOM: I just wanted to touch on something,
13 and obviously I echo Laura's comments, but I wanted to touch
14 on something that Bill mentioned which is you know making
15 sure that we're not increasing prices for the consumer. You
16 know the way I look at it is the load uplift is an
17 unhedgeable cost. We found that in FERC's investigation in
18 the 2014 Polar vortex. LSEs that were largely hedged in
19 terms of energy market prices faced extremely high costs
20 associated with the uplift payments.

21 The same thing happened in ERCOT in this last
22 winter storm. Folks were hedged, but then they had the
23 really, really significant uplift payments. So I think
24 minimizing some of that stuff actually really ends up saving
25 the consumer a lot of money and allows the load to offer

1 those fixed price contracts at a much more efficient price
2 for the customer.

3 MR. HELLRICH-DAWSON: All right thanks Noha.
4 Sort of related to that Bill let me follow-up with you a
5 little bit. So as a customer representative, so what do you
6 see are the trade-offs between the loss of market efficiency
7 in the short run with out of market operator actions, and
8 the actual cost savings that might come out of it?

9 So for instance, if you were to be incorporating
10 more of these actions into the actual market optimization it
11 might be raising the LPM for instance, whereas paying just a
12 single unit outside of the market could actually be cheaper
13 for consumers. Is there a way that you sort of balance that
14 trade-off of short-term market inefficiency, and not
15 necessarily sending the right efficient price signals versus
16 a straight up perhaps savings to the consumer?

17 MR. FIELDS: Yeah thanks. This really touches on
18 an issue that's frustrating for some of us on the customer
19 side in dealing with these issues and dealing with and being
20 part of the stakeholder process is a lack of information on
21 how different proposals which you know may sound reasonable
22 in you know viewed as singularly but how do they actual
23 impact what total costs are going to be for the customer in
24 whole.

25 So that would be the first point is that it's

1 very hard to make these kinds of assessments with the
2 limited information that you know a single stakeholder,
3 especially one you know coming from a state consumer
4 advocate office is going to have to make that kind of
5 analysis, or judgment.

6 I think another point would be thinking about how
7 does this actually incent, or what resources are being
8 incented by this, and what are they being incented to do.
9 We have concerns when about approaches where if you just are
10 increasing a reserve requirement in a way that keeps units
11 spinning and available all the time in order to deal with an
12 additional need for flexibility, well perhaps that's not
13 really rewarding flexibility, and it's actually paying
14 inflexible units.

15 So I think you know we think about is this
16 providing, is this going in the right direction and
17 providing incentives for the units that the system really
18 needs to maintain reliability? After all these out of
19 market actions are the system operator attaining needed for
20 the system operator to retain reliability, and we have to
21 recognize that the markets are really are based on
22 simplifications of what's going on in the real world if you
23 will.

24 And so these actions are going to be taken, and
25 maybe even to think about them as out of market may not be

1 the right, always the right way to think of them because
2 it's just part of running the system. So I don't know if
3 those -- hopefully those thoughts were helpful. It's a hard
4 thing to judge kind of how it's going to benefit or harm the
5 consumer in the end, but those are some of the things that
6 we consider.

7 MR. HELLRICH-DAWSON: All right thanks Bill,
8 that's definitely very helpful. Appreciate it. Any
9 responses to that, or any other hands up? If not I have a
10 follow-up for Liam. You're on notice. So how do the --
11 sorry, how do out of market commitments affect Eastern
12 Generation's business and operations?

13 So one could argue that there might be little
14 downside to getting paid via uplift if you are committed
15 outside of the market since your costs are going to be
16 covered. Can you tell me if that assumption is even correct
17 for starters? And second, what would you prefer and why?
18 You know, with out of market commitment.

19 MR. BAKER: Well I guess if you're at the gravy
20 train you like it, and if everybody else in line you don't
21 like it so much. In many cases our experience, and I'll
22 pick on New York, even though I said they're doing a pretty
23 good job. I don't want to be like a paid commercial for
24 Mike DeSocio, they've done a really good job over the last
25 20 years improving things, and they're reducing that out of

1 market commitment.

2 They still do that, but they do it for reasons
3 that are kind of odd. They'll do it for fuel security
4 commitment, and that's all at cost. And they'll do it for
5 other local, very local reserves requirements, and that
6 again is at cost because of old market power rules in New
7 York City. I have to offer most of my products at cost or
8 at zero.

9 So as an investor, and we are investing in new
10 technologies, particularly batteries, I want to see accurate
11 price formation. You know you're only going to do so well
12 for so long if someone is just covering your costs. Like
13 New York has done a very good job in driving uplift down,
14 uplift for the last several years has been persistently
15 negative, or zero.

16 Unfortunately, I can't say the same for PJM. In
17 PJM what we see regularly, and PJM to their credit,
18 recognizes there's an issue. They're working on it, fully
19 support that, and appreciate the efforts they made and we're
20 all familiar with some of those dockets, and they're doing
21 that because there is a consistent sort of bias to always
22 over procurement in the day ahead, and that has a downward
23 impact on pricing.

24 And my point back to anyone who would be asking
25 is the operators, what do you need? Where do you need it

1 and when do you need it? Okay. Why did you pick that
2 resource? And why is the security constrained commitment,
3 an algorithm that we've heard so much about earlier today,
4 not picking the one that you did. You know why do you not
5 have 100 percent faith in the dispatch?

6 You know we know no dispatch is perfect, but if
7 you can't answer those questions, like what's the what. Is
8 it reserves? Regulations? Fuel security? And the where
9 and the when it can't be modeled because you don't have
10 sufficient accuracy, then you know to Mr. Field's point you
11 know maybe the combination to promote security is in
12 addition to increased and approved granularity around
13 securing those products you need, and no dispatch is
14 perfect, and we don't have machine learning super-duper
15 computers, sometimes you need additional surplus.

16 You know you need some, but for a certain product
17 in a certain location, but no one likes paying for a
18 necessary surplus, but the alternative, not maintaining
19 reliability, is totally unacceptable. So like New York is
20 working on this, for conditional granularity of additional
21 locational attacking the problem in very specific areas,
22 especially with intermittents coming in in a big way and
23 very congested load pockets.

24 But it's really going to be a combination of
25 those two. Until we have 100 percent accuracy and a crystal

1 ball or the eight ball, or whatever it is you want to call
2 it in the day ahead, you know, you're probably going to have
3 to live with some additional level of surplus to supplement
4 when you're not right okay.

5 So the long answer to your short question is in
6 New York you know it's just predominantly at cost, and you
7 know, it is what it is. At PJM I would submit that it's
8 generally negative because we have very efficient peaking
9 facilities in PJM, as peaking facilities go. You know
10 combined cycle is highly efficient, so I want to see good
11 price formation. I don't need the gravy. And then the
12 gravy it's not even that good so, that's the short answer.

13 MR. HELLRICH-DAWSON: Thanks Liam. The gravy is
14 a little bit lumpy I guess. Let me follow-up with one
15 question, and then I want to turn it over to Emma, so she
16 can ask a couple. But we've heard you're never going to get
17 rid of all uplifts, can you give me a sense -- and maybe
18 this is more a question for the operators. It's sort of
19 what uplift is just always going to be okay?

20 What out of market operator actions is going to
21 always be okay, you know. Is there a hierarchy of things we
22 ought to be aiming to make sure we get them into the market,
23 and then after that. Again this is a tradeoff of how much
24 money do we spend on trying to fix problems up to the point
25 where the cost is higher than the benefits, you know, there

1 are things that we should be aiming for to integrate into
2 the market, and you know, and then what can we sort of let
3 go because we just know we have to have that uplift as out
4 of market action. Any thoughts? All right Yasser you've
5 got a hand up thanks. Go ahead.

6 MR. BAHBAZ: Yeah. I'll have a go at that . So
7 yeah I think, and I'm not hearing that we should eliminate.
8 I think that's probably a perfect world, eliminating all out
9 of market actions right because there will always be, likely
10 always be circumstances that we didn't forecast, or didn't
11 project the day ahead. Things happen right?

12 And so to the extent that we can project a need
13 the day ahead, or as long as we can, reflect those needs in
14 a product I think that's probably the best we can do, at
15 least from where I sit. There will always be market
16 operating, out of market actions that you know things just
17 happen in real time. Transmission elements trip, RCs got to
18 react, and they have to take certain actions.

19 And those will want to minimize, but they will
20 likely always be out of market action and need, but I think
21 we can greatly minimize what's done today through various
22 products and through price incentivizing, or through
23 designing a price formation that is better than what's done
24 today.

25 MR. HELLRICH-DAWSON: Thanks Yasser. Yeah Chris

1 go ahead and then Noha we'll have you after him.

2 MR. BOSSARD: Yeah I totally agree with what
3 Yasser said. I would just maybe add on top of that one
4 thing I see in California is -- and we have initiatives for
5 this, and it is a more granular day ahead market. I think I
6 mentioned this in my opening statement, but you know at
7 least for us having a -- we have errors in the day ahead
8 timeframe compared to real time that I believe are
9 forecastable, that we do have the means to foresee and to
10 take care of in the day ahead.

11 Having a fifteen-minute day ahead like we're
12 trying to do in California would help us a lot. It more
13 accurately represents the in hour ramping capabilities that
14 we need, that we see in real time, and I think it would
15 instill confidence from an operations standpoint, and it
16 would more accurately represent what we're going to see in
17 real time.

18 MR. HELLRICH-DAWSON: Thanks Chris. Go ahead
19 Noha. You are muted.

20 MS. SIDHOM: Sorry. Somebody has to do that
21 first right? So you know I echo what Chris said, the more
22 granular the products, the better, the more confidence you
23 have in the system. Also the more ability for the operators
24 to kind of purview things and see what the model is telling
25 them.

1 Same with granularity in the day ahead market. I
2 think that stuff is really important as well, or making sure
3 we head in that direction. Bill is right, there's always
4 going to be some level of out of market action like Yasser
5 said, transitional and certainly the trend. There's going
6 to be some things that happen that we just have to deal with
7 in real time, but I really think the closer we get to
8 accuracy and granularity, and the more effort we put into
9 those things, the better price formation that you get that
10 the other investors are looking for --he's not the only one.

11 And then really we get better prices across the
12 board, and that just has to be a strong focus. I think it's
13 kind of fallen by the wayside, and we've had some
14 interrupted focuses on price formation, but I really think
15 we're at a point, particularly post-Texas where we've really
16 got to do something about this now. We really have to
17 improve our models, our technology, and develop the
18 appropriate market products for this.

19 I do feel like industry has really been grappling
20 with these issues for some time, just with not a lot of
21 tools in the toolbox. You know I sort of I feel like PJM
22 has kind of gotten picked on a little bit, but they've
23 wanted to make some of these changes for a while, and they
24 really struggle with the stakeholder process you know.

25 Things like transmission outages for example. In

1 New York ISO if a TO doesn't properly schedule their
2 transmission and they cause congestion on the grid they have
3 to pay for it. That's not even a starting point with PJM.
4 And SPP I know has really struggled with this issue as well,
5 of getting proper outage scheduling, making sure they can
6 model those things in.

7 So a little bit different, but also you know I do
8 really feel for these ISOs, they sometimes want to make
9 these rule changes and they just can't. So that's really
10 where we need the Commission's help on some of these issues
11 as well.

12 MR. HELLRICH-DAWSON: Ms. Noha I think Yasser's
13 ears were burning. Go ahead Yasser.

14 MR. BAHBAZ: Yeah, so I want to just add to that,
15 and something Liam mentioned with you know. I work closely
16 with operators as a reliability coordination manager, and I
17 can tell you that trust in the system is not sometimes
18 something that they can afford to do. It's one of those
19 things where if you get burned once or twice, they often are
20 very gun shy to wait on the system, to trust the system is
21 going to do its thing right. So we are internally working
22 on two things that as very short-term uncertainty things,
23 and just to make sure that the operators know what's coming
24 in the next 30 minutes, how transmission constraints are
25 being sold in the 30-minute ahead market.

1 And trust the system. Don't go, don't over react
2 and take action right away thinking that something that's
3 maybe a generator that's going to come on that will solve
4 the problem for you, don't worry about taking out of market
5 action now. And so there are some things that we can do
6 even in real time to make sure that you know it's the
7 appropriate modeling, and it's also making sure that we give
8 the system the chance to do its thing.

9 So trust is a big deal for operators, and in
10 their eyes they can't afford to take a chance, and so that's
11 something else that I know we're working on, and probably
12 other RTOs too.

13 MR. HELLRICH-DAWSON: Thanks Yasser. Chris I see
14 your hand up. Why don't you go ahead.

15 MR. BOSSARD: I 100 percent agree with Yasser.
16 And I would give another example that we run into from a
17 trust standpoint that I know is not good for the market
18 standpoint as far as manual intervention. That is
19 regulation, AGC regulation procurement.

20 When we have volatile solar days, out here in
21 California we have our peak solar output I believe right now
22 is around 12,000 megawatts, 12,000 to 13,000 megawatt peaks.
23 And on a cloudy day when we have even a slight gray day,
24 which is not that common in California, but if we do have
25 that it's fairly easy to model and expect what we're going

1 to have for solar.

2 But when we have these more fluffy clouds over a
3 region that are fast moving over regions and stuff, we can
4 have on a five to 10 minute timeframe, we have can have
5 1,500 megawatts, close to 2,000 megawatts on a five to 10
6 minute basis ramp off and then ramp back up in the next five
7 minutes.

8 And I think what we grapple with at the
9 California ISO sometimes is we look at the statistics from a
10 market standpoint, and we say well that only happens rarely.
11 I don't know what the numbers are, but that happens rarely,
12 so we don't need to procure extra regulation.

13 But then we run into this trust issue that
14 Yasser's talking about that operations we say no, no we do
15 need to get the regulation. That's our only tool that we
16 have right now at this point in time to respond to those
17 solar deviations like that.

18 And if it happens two days out of the year that's
19 enough. The impact, I guess the impact from a reliability
20 standpoint is severe enough to where operations says no we
21 need to get that regulation, even though from a market
22 standpoint, well it rarely happens 22 days a year. So I
23 just wanted to offer that.

24 MR. HELLRICH-DAWSON: And that's good to know.
25 Thanks Chris. Let's go to Liam now.

1 MR. BAKER: So having no experience in either one
2 of these markets gentlemen, but it sounds like you just
3 answered my what question. You know for Chris, the what is
4 Reg. For Yasser what is Fast ramping. Either online or
5 fast ramping reserves that could come online and support
6 wind as it trends down.

7 You know so the question you have to kind of
8 wrestle with, maybe not you all, but your market operations,
9 market design group is well how do we promote price signals
10 with people to respond with at risk capital to build the
11 kind of assets or invest in existing assets to provide those
12 market products?

13 Because if you want more reg, and you only have X
14 amount of resource provided, well you only have X and maybe
15 you need to say okay, we'll send a forward price signal,
16 someone is actually going to invest in something that can
17 provide red, like batteries or like God forbid a peaker.

18 But you know for fast ramping reserves in SPP it
19 might be a unit that says look, if I take the next upgrade
20 package from GE or Siemens or Mitsubishi, I can improve my
21 ramp rate. I can upgrade to the next distributed control
22 system, or improve my ramp.

23 You know I can bring an old moth ball GT back
24 that has a 10 minute return. You know those are the kinds
25 of things people respond to and put money at, and so that's

1 why, and I feel your pain. And we don't have hardly
2 anywhere close to the amount of wind that you guys are
3 dealing with solar, but we believe the goal is we're going
4 to have that one of these days. So the operators will be
5 struggling with the same kind as you're struggling with.

6 But I think now is the time to sort of start
7 asking those hard questions.

8 MR. HELLRICH-DAWSON: Thanks Liam. You know
9 those are good points. Emma, let me turn it over to you to
10 take on some of the next questions here.

11 MS. NICHOLSON: Thank you very much Bob. We
12 really appreciate the questions you have asked so far. I'm
13 sorry you've answered so far. One question I have is I
14 really appreciate the frank comments from our operators. We
15 understand that you get a lot of -- if you do drive
16 perfectly, you almost get no attention or applause, but if
17 there are issues you certainly get a lot.

18 So I understand you're wanting obviously driving
19 desire to keep the lights on, and conservative operations,
20 and of course we can see the point from our market
21 participants that would like more transparency and better
22 and stronger investment signals. We'd love to hear from the
23 group what is sort of a threshold model of out of market
24 actions that might warrant in market response?

25 And what might warrant investing in implementing

1 market reforms? We've seen we've talked earlier how we know
2 we're never going to have a situation where we have zero out
3 of market actions, that's just not feasible with the system
4 and the kinds of systems and operating conditions happening
5 so quickly, but can anyone inform us on -- and as to when
6 are out of market activities significant, frequent, or
7 material enough to start bringing them in the market, and
8 consider bringing them into the market when also considering
9 how expensive and timely it is for stakeholders and RTOs.

10 What is sort of the threshold level of when you
11 realize that an out of market action significant enough that
12 we need an in-market solution. So any thoughts on that sort
13 of threshold? And I understand reasonable people can
14 disagree on what that is. It would be helpful for us. And
15 I think Liam do you still have your hand raised, or maybe
16 it's from last time?

17 MR. BAKER: No. And just real quick the way in
18 which we measured it in New York, and again no cheerleading,
19 but it's a function of uplift right? I mean we used to have
20 really outsized uplift, and customers were paying that, and
21 as Noha said earlier it's something that you can't hedge and
22 you just have to eat it and no one likes paying for
23 something that you can't shop around for.

24 So I think the answer to your question you know
25 what's the threshold of how do I make that, how does that

1 equation get addressed you know to move something out of
2 market into new market? It's what's my uplift to the
3 customers currently, and is it de minimis so it's not worth
4 the effort, or oh my God, that's a lot of money, and you
5 know and it's not going away anytime soon. We need to
6 commit the effort to you know to improve our market design,
7 and to build that system necessary and start pricing that
8 attribute.

9 MS. NICHOLSON: Thank you very much Liam. Noah?

10 MS. SIDHOM: Yeah. I would say it's a
11 combination of uplift, and the amount of investment that
12 you're getting in the market. I mean you heard Liam clearly
13 say at the beginning, look the New York ISO doesn't have
14 this, we're throwing our money there.

15 We're a little bit you know more cautious than
16 PJM because we're not getting the right price signal, and
17 that's what we really wanted, better price formation, so our
18 investors can have some comfort. I mean I can tell you as
19 somebody who talks to investors on a daily basis, they don't
20 want to hear that you're getting a side payment that may go
21 away, those rules may change. They want to know that the
22 prices in the market that you're transacting in are accurate
23 prices.

24 And that's really the only way you're going to
25 incent some of this investment, and you're also going to get

1 better R and D. People aren't just going to invest in what
2 they know. They're going to invest in what's next if they
3 have some price certainty. I'd focus on those two things,
4 and you're also hearing some of the operators saying not to
5 put words in their mouth, but we don't have all the
6 necessary tools, and that's why we're trying to make these
7 improvements in the stakeholder process.

8 I really think it is you know sort of incumbent
9 upon the Commission to say okay, we're going to try to make
10 it easier for you to make those changes when we can't
11 overcome all the hurdles in your lengthy processes.

12 MS. NICHOLSON: Thank you Noha. I think we have
13 Bill Fields, and then Laura Rauch.

14 MR. FIELDS: Thank you. Yeah. I wanted to just
15 in response to that question reiterate the point that you
16 know from a customer perspective we look at it in -- or at
17 least I try to look at it in terms of what is there going to
18 be efficiency here in terms of total cost. And I think
19 that's what to some extent I think maybe what other people
20 were getting at if you have a small level of uplift or
21 something else, maybe it's not worth it.

22 But when you look at the market solution,
23 potential market solutions, it should be a primary
24 consideration of whether this is going to reduce total cost.
25 You know if there is uplift cost there maybe it's true that

1 LSEs, load serving entities can't hedge that, and you know
2 they don't like to pay that and uplift would get factored
3 into retail offers or standard offer service or polar
4 prices.

5 But you know if you price something into the
6 market that's going to get factored into those retail
7 prices, retail costs as well. And you know maybe it's an
8 easier pass through in some way if it's part of the market,
9 it's part of the uplift, I don't know. But one way or the
10 other I think it's getting passed through to customers. And
11 so I would say that for us a primary concern is going to be
12 whether you're getting a more efficient solution from a
13 total cost basis to the customer.

14 MS. NICHOLSON: Great, thank you very much Bill,
15 Laura?

16 MS. RAUCH: I think just to put a different twist
17 on what others say, there's a lot of different ways you can
18 look at this, and ultimately it is the most value delivered
19 to the customer. And that really means that from MISO's
20 perspective we have to align with our members on what those
21 costs should be, what should be the price formation. What
22 should be cost allocation, communication? What are our
23 roles.

24 My life before settlements was in resource
25 adequacy, and when you're talking about long-term resource

1 decisions market aspects are a portion of that, but there's
2 a lot of other things that MISO doesn't own and should not
3 own, that come into play with that.

4 The other aspect I'll mention is I think it also
5 depends on what you think the future will have. It would be
6 no surprise to anyone on this call that judging what
7 tomorrow's operations will look like by today's events, or
8 last year's events is going to be very short-sided. I think
9 we've all seen more extreme events.

10 We all want to use different resource types that
11 will somewhat change our operating paradigm at the end of
12 the day. And for MISO that's why we're looking at something
13 we call our reliability imperative which is how do we look
14 at what our markets should look like in the future? This
15 materialized in resource availability and need. This has
16 materialized in larger market redefinition products.

17 And so portions of this is less what is our
18 current uplift, but what needs do we see coming in the
19 future, and this has led to things like our introducing of a
20 short-term reserve product that will go live in December
21 based on what we think tomorrow's needs will be.

22 So I think it's a very complicated question, and
23 the viewpoints that are on this call are the ones that we
24 need to, because it's not something any one market
25 participant, any one RTO can make as solo determinational.

1 MS. NICHOLSON: Great. Thank you Laura. And
2 Noha I would love to follow up in terms of you asked if the
3 Commission could help with the stakeholder process, and also
4 I think we heard that from other folks. This is a
5 challenging process, it's timely, resource intensive and
6 often times difficult to get things through the hurdle.

7 We'd love to hear from you Noha if you have any
8 suggestions, and it is fine if you don't, in how the
9 Commission could help with the stakeholders to make,
10 facilitate or streamline any of the stakeholder processes
11 that would make incorporating out of market actions, or
12 market reforms more generally easier to get through.

13 MS. SIDHOM: Absolutely. I think when the
14 Commission provides guiding principles as you guys do in any
15 rulemaking, that is a good starting point for the
16 stakeholder discussion. So we're not arguing about should
17 we do anything at all, we're more arguing about the details
18 of what we're doing, and I think that is at least gets us
19 through a good portion of that discussion.

20 You know just really making sure you guys are
21 clear. And okay we want to see this level of out of market
22 action, or this level of uplift is a goal. What do you guys
23 need to do to get there, to get a just and reasonable rate
24 for customers? And what types of products too,
25 incentivizing those products, the same things like you have

1 to have a short term reserve market that is above and beyond
2 single contingency planning, so something similar to what
3 Laura was mentioning.

4 You know kind of heading it in that direction
5 with the granularity of the products, things like hey, New
6 York, you've been zonal for 20 years. Maybe it's time to go
7 nodal like the rest of the market so that we're getting a
8 more granular price signal. You know things like that are
9 all hugely beneficial.

10 MS. NICHOLSON: Thank you very much Noha. Does
11 anyone else have any comments or suggestions to that
12 question in terms of making it facilitating the stakeholders
13 or any other -- anything the Commission could do in that
14 regard. Yasser?

15 MR. BAHBAZ: Yeah I just want to iterate
16 something that was mentioned. It's important that we don't
17 look at just what's today right, and so I think Laura
18 mentioned that, others mentioned that. And so I think it's
19 really important especially in -- I think the grid is
20 changing everywhere else, just not such a SPP, but we need
21 to make sure that five years from now, 10 years from now we
22 have the essential products right, because it's just ramping
23 today, and maybe inertia tomorrow.

24 And maybe other products that are inverter-based
25 type resources, may not be able to give you -- or we may

1 need to incentivize them or require it, one way or another
2 through the resource adequacy process to make sure that you
3 have what you need coming in to day ahead and real time, or
4 operation horizon.

5 And hopefully, ideally, that maps to a product
6 right, that maps to a product with quantifiable requirements
7 that have prices set with them right, so you have certainty
8 product, you have inertia products, whatever. And so
9 ideally that is where we ideally should land.

10 And SPP we're looking at this, and especially
11 after the winter event, we were doing some work before then.
12 We were looking at it from a reliability attribute
13 standpoint, and what does SPP need in the future considering
14 the different futures that we're looking at.

15 So it's ramp, it's inertia like I mentioned, it's
16 black-start resources, what kind of resource we need out
17 there. Still to be determined whether that's going to be
18 priced. What market rule would have for that if we do have a
19 resource adequacy market for it at all, but certainly in
20 real time operations and the market, it should all map to
21 some product.

22 Anything we require ideally should just be a
23 requirement and a product, and that is the best thing that I
24 think we can do to minimize out of market action.

25 MS. NICHOLSON: Thank you. Bill do you have your

1 hand raised as well?

2 MR. FIELDS: Yes. I just wanted to agree with
3 Noha's point, maybe add to it a little bit. The stakeholder
4 process. I'm obviously familiar with the PJM stakeholder
5 process. There's obviously lots of incumbent resource
6 interest there in the stakeholder process that's going to
7 make it difficult in a lot of ways to get changes, and
8 sometimes it's going to need you know a push in the right
9 direction from the Commission to get those you know new type
10 of initiatives to happen.

11 MS. NICHOLSON: Thank you all. That was really
12 helpful to hear. I have another follow-up question. I
13 heard a lot of comments about demand response. Is the issue
14 that is limited to emergency demand response? Is there a
15 concern there that when they're called they result in they
16 reduce the prices, but it's not accurately reflected. I'd
17 love to hear some more color on the comments.

18 We've heard from a couple of different experts on
19 some pricing issues with demand response, and I believe it
20 was emergency demand response, in particular, please correct
21 me if I'm wrong. I think Laura had some comments and Noha.
22 I see Noha you've raised your hand. Can we hear from you
23 followed by Chris.

24 MS. SIDHOM: Sure. I'm happy to answer that. I
25 was actually I raised my hand in response to sort of the

1 previous question about just resource adequacy issues. And
2 I think resource adequacy obviously incredibly important.
3 You know I think in 2012 the Commission held a tech
4 conference on capacity markets, and back then it was a 90/10
5 split.

6 90 percent of the revenue was earned in the
7 energy markets. Now it's probably closer to 70/30 if not
8 more so in the capacity markets. You know just by way of
9 reminder when ERCOT went into this winter they had a 43
10 percent reserve margin, they had plenty of resources. But I
11 think we really need to focus on is pricing the necessary
12 attributes that provide the necessary flexibility that the
13 operators are looking for to manage this grid, and I
14 totally agree with Yasser.

15 We have to think about what's ahead. In fact, I
16 think I don't want to say fail to do that, but we're a
17 little bit behind the ball of where I think we really need
18 to be. But to answer your question Emma, my comment about
19 demand response was not necessarily emergency.

20 Sometimes it is, but it's basically when the
21 LDC's to some state programs will offer significant payments
22 to reduce so at the retail level, but then the RTO really
23 has no window into that, they're not getting communication
24 from the LDCs saying hey, we've called on demand response,
25 we're paying -- they don't even need to say we're paying X

1 amount, but they you know here is how much we expect them
2 because we're providing the right price incentive.

3 And as a result the ISOs just see it as missing
4 load. So they called on more expensive resources, and so
5 the out of market payments have gone up, but because the
6 load dropped, then the real time prices is suppressed. And
7 so it just seems like missing loads for the RTO, but really
8 it was an appropriate program to have in place. It just
9 wasn't ever communicated to the operators.

10 So I think that's something that we just need a
11 little bit more coordination on those efforts.

12 MS. NICHOLSON: Thank you very much for
13 clarifying Noha. Can I hear from Chris next, and then
14 Laura?

15 MR. BOSSARD: Yeah in regards to demand response
16 at least in my chair, when I'm on shift. If it I utilize
17 demand response I totally get how we have demand response is
18 a market product that has a price. And it sounds like the
19 expectation is it's dispatched in merit order, or
20 economically with other resources.

21 The issue that we run into, that I run into when
22 I'm on shift on a peak day, is much if not all of my demand
23 response is buried behind emergency procedures in NERC's
24 criteria of EEA levels. And I have to be careful what I say
25 here, but when I'm on shift declaring an EEA of two or

1 higher, to dispatch something economically it's not
2 something that really makes sense from my standpoint.

3 If demand response was not reportable, whatever
4 as far as to EEA and NERC, and it was just another resource
5 then I would have no problem with it. It just comes -- at
6 California ISO when I'm on shifts if we're going to utilize
7 demand response there's a bunch of other baggage that comes
8 along with it besides market pricing and market things. I
9 don't know if that makes sense or not but.

10 MS. NICHOLSON: It did, thank you very much.
11 Laura can we hear from you and then Yasser?

12 MS. RAUCH: Well I think Chris covered a lot of
13 it. From a MISO perspective we do have multiple forms of
14 demand response, including in market units, and ones that
15 are more behind emergency procedures. We see similar
16 questions and concerns with what Noha said, and with what
17 others have talked about with do we have appropriate
18 transparency into those resources?

19 And so as we think about especially in the future
20 where we might have more forms of demand response,
21 distributed resources, behind the meter generation, load
22 modifying resources in general. I think there is a question
23 on how do we move those to markets because a combination of
24 long lead times and a reliance on NERC emergency operating
25 procedures to access those is a very inefficient way to run

1 a market, especially when combined with a lack of
2 transparency
3 because we don't necessary have insight into whether those
4 resources have been called on for local load serving needs.

5 And so we have less visible than we do with
6 market resources on how much will actually react, or the
7 incremental reaction to a given call.

8 MS. NICHOLSON: Thank you very much Laura.
9 Yasser?

10 MR. BAHBAZ: Yeah I think Laura and Chris
11 captured most of what I was going to say on demand response.
12 I'll add another challenge. So I think with demand response
13 there's two tiers right? So there's the market
14 participating demand response. We don't have a lot of those
15 and in fact I know we have some, but they're not
16 participating in the market.

17 So when they don't participate in the market as
18 far as SPP is concerned, it's a load reduction. And the
19 load reductions in themselves, they cause us a problem of
20 uncertainty within you know, so it's load that we projected
21 that it was going to show up, but it didn't show up by
22 virtue of having a generator that comes on next to it right,
23 that's what demand response is.

24 So to the extent that demand response comes in
25 front of the meter, or as participating with the ISO/RTO to

1 that extent that's possible then it would be priced. The
2 challenges with that I think is how distributed they are
3 right, and depending on what they're point of
4 Interconnection is and if we need to make sure that they're
5 modeled in the right, on the right transmission on the right
6 point of interconnection because it does make a difference
7 in terms of transmission impact.

8 All the other demand response if it's not modeled
9 explicitly in the market as dispatchable, then it does
10 become what we call interruptible Curtailable load, and that
11 is only accessible through emergency conditions by specified
12 by NERC. And that's the EEA2 level that Chris was
13 mentioning so.

14 MS. NICHOLSON: Great. Thank you. I have one
15 final question and given that I think we've heard before and
16 it's sort of unreasonable to expect just given the primacy
17 of keeping the lights on, and how hard ISO staff worked to
18 keep the lights on in reliable energy, and how much we
19 appreciate it as well.

20 Given that we are going to have certain level of
21 market operator actions that we won't be able to get them
22 all into market, or simply it just takes time to get in the
23 market. We've heard some folks, including Laura you
24 mentioned that maybe there's an in between method of having
25 an administrative price for those out of market operator

1 actions.

2 And I'd love to hear the group's thoughts on if
3 that's sort of a viable approach, and a short run approach
4 or a reasonable means to address. And then of course like
5 the million dollar question is like what kind of
6 administrative price would you assign to that out of market
7 operator action. So if anyone has any thoughts on that
8 proposal which we've heard from some folks please let us
9 know. And I think we have Liam Baker has his hand raised.

10 MR. BAKER: No I mean just being in the New York
11 City market you know it's pretty much. It's a market and we
12 get made fun of a lot because it's a lot of administrative
13 constructs. That's one that's so heavily mitigated, so
14 concentrated. So I'm very used to different flavors of
15 demand curves, capacity for reserves, you know, for a whole
16 host of things.

17 And when they're properly designed you know they
18 can be very effective. And we've had that experience in New
19 York and they can be effective. As far as I'm not
20 economist, but listening to smart ones you know it's a
21 representation of how they value lost load.

22 Now it's not going to go from zero to the moon
23 because at some point you have to put a value on it, but I
24 mean that's how I understand over time the ISO has broken
25 out its various charge, with the exception of capacity which

1 is based on you know net CONE.

2 But that's how I understand it, and I think
3 there's a time and a place for them, and I think they can be
4 effective in the absence of having a more -- there's a right
5 you know economic term for it where a more fluid market, a
6 more workable market where you can actually represent the
7 true marginal cost, but a solid representation can be
8 reflected in a curve. I do believe that.

9 MS. NICHOLSON: Great, thank you very much. Does
10 anyone else have any thoughts on it? Would administrative
11 prices or associated with the out of market operation
12 actions rather than pulling the markets kind of an
13 intermediate step? Scanning our panelists I don't think
14 anyone does. Thank you again so much for your comments and
15 your expertise on this important topic.

16 We certainly understand as a Commission that out
17 of market operator actions are often an indicator of a
18 potential need for a form, but there's a lot of other
19 considerations, and I think you as this panel have really
20 enlightened us, and the audience as to what those are.

21 Before we close I just wanted to see if anyone on
22 the panel has another comment or question for their fellow
23 panelists. Yasser?

24 MR. BAHBAZ: Yeah we can talk about this all day,
25 but I was going to mention something to Liam's point about

1 you know a load reduction is a load loss, value of loss of
2 load. And so to some extent I agree with that. The
3 challenge is that there are other steps in between before we
4 get to load loss that are not priced right.

5 So we talked about the different emergency
6 levels, and we didn't know it was emergency levels, there
7 are several actions we take including BA to BA assistance
8 from our neighbors and curtailing exports. And so things
9 that we need to think about is that how do we price those
10 things before we get to the loss load, because those
11 certainly would be steps that we take before we get to
12 shedding any load.

13 So anyway, so there's some logistical and some
14 other I guess I'll call them administrative, but there are
15 some other regulatory side steps that we do need to take,
16 and likely need to price as well as demand respond type
17 actions, who are going to price it as a price loss of load.

18 MS. NICHOLSON: Thank you Yasser. Laura? I
19 think you're on mute Laura.

20 MS. RAUCH: Thank you. There has to always be
21 two in this, so I fulfill the second role there. At the end
22 of the day MISO does believe markets work, so a lot of their
23 responses to out of market actions default back to how can
24 we get more resources into markets?

25 We think that provides efficient signals to

1 maintain reliability at the least cost and a paradigm where
2 we move emergency only resources, especially long lead
3 resources really enhances market efficiency and
4 transparency, helping our members and generators to make
5 more efficient decisions.

6 At the same time market tools and services are
7 constrained by practical limitations. As we noted before we
8 can't be perfectly accurate, and even talking about how
9 accurate can we get, the market systems themselves can be a
10 barrier in the implementation of tools because of
11 limitations on computational and human resources to bring
12 valuable reliability in market improvements.

13 So as we look at MISO and balance some of these
14 different competing factors, we are looking at how we
15 maintain reliability via the reliability imperative on
16 market system enhancements. But at the end of the day it is
17 a conversation that we need to continue to have on how do we
18 balance which needs provide the best market signals, and
19 making sure that we're focusing on the right things at the
20 right time to pursue that ideal state, that we'll never
21 reach but always strive for.

22 MS. NICHOLSON: Thank you very much Laura. Liam,
23 did you have a comment as well?

24 MR. BAKER: Just real quick to Yasser's point.
25 Yeah like for instance in New York we have a series of steps

1 when you're kind of in a pinch that are not priced. I mean
2 the public appeals, voltage reduction, there's all kinds of
3 things that the operators have flexibility to take, and
4 those aren't price actions, and no one would ask them to be
5 priced.

6 Until you start getting to you know the day ahead
7 demand response, emergency demand response, and then you
8 start going into your with your day ahead it's mandatory,
9 but they need notice, and end day it's kind of voluntary,
10 but there's all different levels. And my point is there's a
11 lot of steps that we don't worry about pricing, we just have
12 to accept it, that's reality and it's fine. It's totally
13 fine.

14 But when we get into the real time, when you're
15 calling these resources the ISO does have really good
16 mechanisms to reflect that in the market, so you don't have,
17 and it generally works, where you don't have the bottom
18 falling out of the price when you're really up against it
19 and calling your DR. But it doesn't always work.

20 But there are a series of steps many which are
21 not present.

22 MS. NICHOLAS: Thank you very much Liam. Bill
23 Fields.

24 MR. FIELDS: Thank you. Just wanted to make a
25 brief point about value of loss load. It's a complicated

1 topic. The value is different to different customers. You
2 know a one hour outage is going to be different to between
3 you know a residential customer or potentially some
4 industrial customers, particularly one that's unanticipated.

5 Now you know something multi days long, or
6 something more extreme is going to be different, so when you
7 look at those, you know, that as a number, just sort of a
8 caution to be thinking about what kind of customer you're
9 talking about and are you really getting the right answer
10 for the system.

11 MS. NICHOLSON: Thank you very much Bill. Do we
12 have any more closing comments from our panelists? Oh we
13 do. Chris Bossard.

14 MR. BOSSARD: Thank you. Since we're talking
15 about manual actions by operators I thought you know we're
16 talking about all the kind of negative stuff here and how we
17 can improve. I thought I might share from California ISO
18 kind of a success that we had, especially this last summer
19 as you guys might be aware, we had a brutal summer in the
20 west, and in California with very, very high temperatures,
21 dry conditions and a lot of fires.

22 So the system was stressed, our power grid was
23 stressed for weeks and weeks, and one of the things coming
24 into the summer that we were anticipating needing to have
25 operators babysit and take care of is batteries, or

1 non-generating resources I believe as we call them also.

2 And babysitting them from the standpoint that
3 when we get into peak and net load peak they're fully
4 charged, and I believe somewhere I don't have exact numbers,
5 but I believe we were pushing 2,500 maybe close to 3,000
6 megawatts of batteries, commercial batteries, on our system.

7 They had already had contracts that were being
8 counted on for capacity, so there was a big concern that it
9 would be available, fully charged to provide megawatts
10 during peak and non-peak. And we went through quite a bit
11 of effort company-wide to build a process and a tool that
12 the operators would use to essentially out of market
13 manually dispatch the units early in the day, late morning,
14 afternoon, to force them to charge during the day when the
15 solar is up and available peak.

16 Well actually the success in this is that there
17 was some growing pains at first. By mid-summer at least we
18 found that commercially the generators, I mean the
19 batteries. I don't know what they did on their point. I'm
20 not privy to that, but they were bidding and scheduling
21 themselves to where they were charging themselves in the
22 afternoon, and for the most part fully available, fully
23 charged during peak flow time, and discharged. It was a
24 great success I think seeing it, so I just wanted to share
25 that kind of policy thanks.

1 MS. NICHOLSON: Thank you very much Chris for
2 your views. I think we are all eternally grateful. We love
3 electricity and having this conference would not be possible
4 without you operators, so I think we all understand that how
5 important your job is.

6 And no one I don't think would accuse you of
7 being bad, but we always strive to do better, and I really
8 appreciate all the great minds here helping us try to
9 continually improve these markets, particularly given the
10 large changes that we all see at the horizon.

11 And in fact CAISO and SPP are in the middle of
12 large changes, and I think to all the ISO's credit I think
13 there's a general recognition that out of market operator
14 actions can signal market failure, and you independently
15 work with stakeholders to address them through ramp products
16 in California's DAME proposals, so we certainly are really
17 grateful for all the hard work at the ISOs and in the
18 stakeholders to the stakeholder process.

19 I really appreciate the panel today. I think
20 Noha did you have another comment before we closed?

21 MS. SIDHOM: I'm just going to thank staff for
22 putting this together, and for everybody for their input.
23 And you know I'm really hoping that we see some expedient
24 action on these issues, because as you know it's very
25 necessary I think for us to get that. And Chris that's a

1 fantastic story. It makes me so happy to hear that all of
2 this is starting to come to fruition.

3 I mean that's investment in R and D from years
4 ago. Thank you guys, we appreciate it.

5 MS. NICHOLSON: Well thank you all. To our
6 panelists it's been a very illuminating day for us. This
7 panel, as well as all the four panels I think we've had
8 today I think we're going to go ahead and wrap up this
9 technical conference. I wanted to thank in addition to all
10 of our panelists, we had Chairman Glick, Commissioner Danly,
11 Commissioner Clements and Commissioner Christie participate
12 as well, and we're really grateful for your participation.

13 And to all of our panelists both days of this
14 energy and ancillary service tech conference you have really
15 informed us a lot about this incredibly complicated and
16 challenging problem, but I'm also -- we as staff are very
17 heartened how many bright smart people are analyzing
18 problems from different points of views so we can crowd
19 source and do good solutions here.

20 We expect as is typically the case after a
21 technical conference that the Commission holds, that we
22 would issue the call for post-technical conference comments.
23 When that happens, when and if that happens very likely it
24 would be posted in Docket Number AD21-10. And I would also
25 like to thank my colleagues, my colleagues and FERC staff

1 for helping put this conference on, which we had folks from
2 the Office of Energy Policy and Innovation, Office of Energy
3 Market Regulation, Office of Electrical Reliability, Office
4 of the General Counsel, Office of Enforcement, the Office of
5 Information Technology, External Affairs, and Executive
6 Director.

7 So it really does take a village and we're very
8 grateful to everyone for your participation. And I think
9 that will close our conference unless Bob, did you have any
10 -- sorry. Okay, thanks again everyone for your time today.
11 We really appreciate it. And Capital Connection you can
12 close the feed.

13 (Whereupon the conference concluded at 4:37 p.m.)

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding

4 before the FEDERAL ENERGY REGULATORY COMMISSION in the

5 Matter of:

6 Name of Proceeding:

7 Technical Conference on Modernizing

8 Electricity Market Design: Energy and

9 Ancillary Services in the Evolving

10 Electricity Sector

11

12

13

14

15

16 Docket No.: AD21-10-000

17 Place: Washington, DC

18 Date: Tuesday, October 12, 2021

19 were held as herein appears, and that this is the original

20 transcript thereof for the file of the Federal Energy

21 Regulatory Commission, and is a full correct transcription

22 of the proceedings.

23

24 Larry Flowers

25 Official Reporter